

1

## VOLUME I

2

3

## HYDROGRAPHIC SERVICES REVIEW PANEL

4

5

PUBLIC MEETING - TUESDAY, APRIL 14, 2009

6

7

8

9

The Public Meeting of the Hydrographic  
Services Review Panel was held on Tuesday, April 14,  
2009, commencing at 8:45 a.m., at the Renaissance  
Baltimore Harborplace, 202 East Pratt Street,  
Baltimore, Maryland 21202, before Robert A. Shocket, a  
Notary Public.

15

16

17

18

19

20

21 REPORTED BY: Robert A. Shocket

1 AGENDA:

2 THOMAS SKINNER, Chair

3 EDMUND WELCH, Vice-Chair

4

5 FORMAL MEETING OPENS - Welcome to Inner Harbor Baltimore

6 Thomas Skinner, HSRP Chair

7 CAPT Steven R. Barnum, HSRP Designated Federal Official

8

9 HSRP BUSINESS and UPDATES:

10 Approval of NOAA 19-20 2008 HSRP Meeting

11 Introduction of Juliana Blackwell, Director,

12 National Geodetic Survey

13

14 REGIONAL STAKEHOLDER PANEL:

15 CAPT Eric Nielson, President, Association of American  
Pilots

16

17 Frank Hamons, Deputy Director for Harbor Development,

18 Maryland Port Authority

19

20 Keith Bailey, Maryland Society of Surveyors

21 (CONTINUED on the Next Page)

1 REGIONAL STAKEHOLDER PANEL:

2

3 Stuart FitzGibbon, American Sugar Refining, Inc.,

4         Domino Sugar Corporation

5

6 David Nemerson, Conservation Biologist, Baltimore Aquarium

7

8 Stephen M. Golder, Chief Survey Team,

9         U.S. Army Corps of Engineers, Baltimore

10

11 FY09/10 and STIMULUS BUDGET UPDATE:

12 CAPT Steven R. Barnum, Director, Office of Coast Surveys

13

14 PUBLIC COMMENT PERIOD

15

16 2009 UPDATE OF CO-OPS PROGRAMS

17

18 Michael Szabados, Director, Center for Operational

19         Oceanographic Products and Services

20

21 (CONTINUED on the Next Page)

1 UPDATE FROM ALASKA:

2 John Oswald

3

4 NOAA NEXT GENERATION STRATEGIC PLAN:

5 Paul Doremus, NOAA Office of Program Planning and

6 Integration

7

8 NATIONAL GEODETIC SURVEY UPDATE:

9 Juliana Blackwell, Director, National Geodetic Survey

10

11 REVIEW OF PROPOSED RECOMMENDATIONS from DAY 1

12

13 MEETING WRAP-UP, NEXT STEPS, and EXPECTATIONS for DAY 2

14

15 PUBLIC COMMENT PERIOD

16

17 CONCLUDING REMARKS

18

19

20

21

1 P-R-O-C-E-E-D-I-N-G-S

2 MR. SKINNER: Good morning, everyone, and  
3 welcome. This is the Hydrographic Services Review  
4 Panel meeting in Baltimore. My name is Tom Skinner.  
5 I'm the chair of this panel. And to start off, if we  
6 could go around the table here and introduce the  
7 different members of the panel, that would be great,  
8 starting with Larry.

9 MR. WHITING: I'm Larry Whiting, a retired  
10 hydrographic surveyor from Alaska, so, I'm well  
11 retired.

12 MR. WEST: Dick West, retired, Navy,  
13 oceanographer with the Navy and President and CEO of  
14 Core Securities. And I'm retired, and I will retire  
15 from this guy pretty soon.

16 MR. WELLSLAGER: Matt Wellslager, program  
17 manager, South Carolina Geodetic Survey.

18 CAPTAIN MYTARDIS: Minas Mytardis, Vice  
19 President of Regulatory Compliance, with Norwegian  
20 Cruise Line, not retired.

21 MR. MCGOVERN: Andrew McGovern, pilot, Port

1 of New York and New Jersey.

2 MR. SZABADOS: Mike Szabados, Director of  
3 CO-OPS.

4 MR. ARMSTRONG: Andy Armstrong, the NOAA  
5 Codirector of the Joint Hydrographic Center at the  
6 University of New Hampshire.

7 MR. LOWELL: John Lowell, Chief of Marine  
8 Chart Division at Office of Coast Survey.

9 MR. WELCH: Ed Welch from Alexandria,  
10 Virginia, and I do governmental policy work for the  
11 Passenger Vessel Association and the Union of Greek  
12 Shipowners.

13 MR. SKINNER: Tom Skinner with Durand and  
14 Anastas, Environmental Strategies in Boston,  
15 Massachusetts.

16 CAPTAIN BARNUM: Steve Barnum, Captain,  
17 Director of Coast Survey.

18 MS. WATSON: Kathy Watson, HSRP, Office of  
19 Coast Survey.

20 MR. DASSLER: John Dassler, Director of  
21 Marine Services, David Evans & Associates.

1 DR. JEFFRESS: Gary Jeffress, Professor of  
2 Geographic Information Science at Texas A&M University,  
3 Corpus Christi.

4 MS. DICKINSON: Elaine Dickinson, BoatU.S.

5 MS. BLACKWELL: Julianna Blackwell,  
6 Director of the National Geodetic Survey.

7 MS. CHAPPELL: Ashley Chappell with Office  
8 of Coast Survey, supporting the panel.

9 MS. STUBY: Danielle Stuby, supporting the  
10 panel also. I'm with National Geodetic Survey.

11 MS. DENTLER: Virginia Dentler, support the  
12 panel, CO-OPS.

13 MR. SKINNER: And we have a couple of  
14 people in the public section, if you wouldn't mind  
15 introducing yourselves.

16 MR. MARTIN: Ed Martin, Office of Coast  
17 Survey.

18 MS. O'BRIEN: Susan O'Brien, National Ocean  
19 Survey.

20 MS. TROMIG: Kristin Tromig, CO-OPS.

21 MR. SKINNER: Great. Thanks very much.



1 NOAA administrator on matters specified in the  
2 Hydrographic Services Improvement Act, specifically  
3 related to hydrographic services. In a nutshell,  
4 hydrographic services are those services provided by  
5 three program offices within NOAA, the National  
6 Geodetic Survey, the Center for Operational  
7 Oceanographic Products and Services and the Office of  
8 Coast Survey.

9           The panel membership consists of fifteen  
10 voting members. These are nongovernment employees  
11 appointed based on their particular expertise. Members  
12 of the panel do not represent the organization or the  
13 entities they are employed by but again they are on the  
14 panel by the mere fact of their particular expertise.  
15 The members are appointed to serve four-year terms.

16           There are three nonvoting government  
17 employees: Andy Armstrong, Codirector of the Joint  
18 Hydrographic Center; Julianna Blackwell, Director of  
19 the National Geodetic Survey and Mike Szabados,  
20 Director of the Center for Operational Oceanographic  
21 Products and Services, and that will include myself,

1 Steve Barnum, Director of Coast survey. There is one  
2 additional nonvoting member, and that is Andy's  
3 counterpart from the University of New Hampshire and  
4 the other Codirector of the Joint Hydrographic Center,  
5 Larry Mayer. Our meetings are required to be held  
6 minimally twice a year.

7 I would like also to remind everybody when  
8 you speak to identify yourself, use the microphones and  
9 to speak slowly in consideration of our reporter here,  
10 and that's Bob Shocket here to my left. So, if we have  
11 any public that has arrived, please use the sign-in  
12 sheet at the entrance of the door and I'd appreciate  
13 that. Thank you.

14 MR. SKINNER: Thanks, Steve and thanks also  
15 to the NOAA staff in putting this meeting together.  
16 It's always a challenge to coordinate everyone's  
17 schedule and find a location and get as many people as  
18 we have here today. So, thanks very much for that. If  
19 anyone needs wireless connections, contact Kathy,  
20 right?

21 MS. WATSON: Yes.

1                   MR. SKINNER: And she can arrange that. We  
2 have someone who has just snuck in. Would you like to  
3 introduce yourself?

4                   MR. BROWN: I'm Doug Brown. I'm with the  
5 National Geodetic Survey. I'm Geodesy program manager  
6 with the survey.

7                   CAPTAIN BARNUM: Good to see you, Doug.

8                   MR. SKINNER: Nice to see you, Doug. Doug  
9 is responsible for getting me on this panel so you can  
10 blame him.

11                   (Laughter)

12                   MR. SKINNER: Excuse me. First order of  
13 business is to approve the minutes from November 19th  
14 and 20th of the meeting in Tampa. Are there any  
15 changes, suggestions, additions? Is there a motion to  
16 approve?

17                   PARTICIPANT: So moved.

18                   MR. SKINNER: Second?

19                   PARTICIPANTS: Second.

20                   MR. SKINNER: Any discussion?

21                   (No affirmative response)

1 MR. SKINNER: All in favor?

2 PARTICIPANTS: Aye.

3 MR. SKINNER: Any opposed?

4 (No affirmative response)

5 MR. SKINNER: Any abstentions?

6 (No affirmative response)

7 MR. SKINNER: The minutes are adopted. I  
8 would also like to welcome Julianna to this panel. I  
9 think the panel, as you know, has been very active in a  
10 lot of the areas that you are dealing with and we look  
11 forward to seeing you here and at future meetings so  
12 welcome.

13 MS. BLACKWELL: Thank you.

14 MR. SKINNER: We'll jump right into the  
15 first stakeholder panel. We've found that these panels  
16 as we meet in various locations across the country are  
17 one of the most interesting, for us, aspects of the  
18 meetings, that really gives us some insights into  
19 what's going on at different locations in the country.  
20 So, with that we will start right in.

21 Our panel consists of Captain Eric Nielsen,

1 with the Association of American Pilots; Frank Hamons,  
2 Deputy Director for Harbor Development with the  
3 Maryland Port Authority; Keith Bailey with the Maryland  
4 Society of Surveyors; Stuart FitzGibbon with the  
5 American Sugar Refining Company and a part of the  
6 Domino Sugar Corporation; Steve Golder, chief survey  
7 team, U.S. Army Corps of Engineers; David Nemmerson,  
8 conservation biologist with the Baltimore Aquarium and  
9 Captain Brian Kelly, the U.S. Coast Guard Captain of  
10 the Port here in Baltimore. So welcome, all of you.  
11 We look forward to your comments. I don't know if  
12 there's a specific order. Is there a --

13 MS. DENTLER: Right down the line.

14 MR. SKINNER: Right down the line. All  
15 right. Please begin.

16 CAPTAIN NIELSON: Okay. Good morning. I  
17 am Captain Eric Nielsen. I'm President of the  
18 Association of Maryland Pilots. I apologize for my  
19 cold today. And if I shook anybody's hand perhaps you  
20 think about boiling it. I also want to apologize for  
21 the weather today. In Baltimore generally throughout

1 April it's sunny every day and 85 degrees. And frankly  
2 I don't know what happened today but maybe tomorrow  
3 will be better.

4                   This morning my goal is to share with you  
5 the NOAA products that are used by the Maryland Pilots  
6 but first a brief thumbnail of what the Maryland Pilots  
7 are. We're sixty men and women. We provide bay,  
8 canal, river and harbor pilotage throughout the  
9 Chesapeake Bay. We handle about 5,000 ships annually  
10 and we board at the mouth of the bay in Virginia or in  
11 the C&D Canal and bring ships to Maryland ports.

12                   These are our two deep water routes.  
13 Baltimore is blessed to have two ways to get to it.  
14 The southern route, which is 150 miles, is 50 foot deep  
15 and the northern route, which comes through the  
16 Delaware Bay and through the Chesapeake and Delaware  
17 Canal, and that's 35 feet deep.

18                   Now, for the products we use, starting off  
19 with charting products, like many associations, pilot  
20 associations, we use portable piloting units to assist  
21 in navigating and managing traffic. Our group uses

1 units that utilize NOAA's electronic navigation charts,  
2 the F-57 vector charts; they're updated quarterly and  
3 more frequently if necessary. And because they are  
4 vector charts, pilots are able to personalize them to  
5 their own desires. We have a default, of course, also  
6 should things should things go badly and it can go  
7 right back to that setting but pilots are able to  
8 overlay different types of depth curves and soundings,  
9 whatever they want to do. This is just an example of  
10 two ships meeting.

11                   We also courtesy of NOAA's hydrographic  
12 survey vessels receive immediate notification of  
13 obstructions that are discovered. There I was pointing  
14 to a 28 foot obstruction here, in my example, which  
15 about 12 to 15 feet off the bottom of the bay, the  
16 bay's bottom, which clearly would be an impact to us.  
17 And in the routine survey that, for the lower bay this  
18 was discovered. And there's the next picture up to the  
19 right. It's something that we believe fell off a  
20 barge. It was immediately, we were immediately  
21 notified and then it was very quickly put onto our

1 vector charts. Here's another more interesting example  
2 that's more easily identifiable in the bay.

3           We also are able to use, are privileged to  
4 have the Bay Hydrographer and now the Bay Hydro 2, to  
5 provide surveys, fast turnaround surveys for special  
6 projects. In this example, this is in Baltimore  
7 Harbor, of course, and MARAD wanted to put a ship over  
8 Pier 8 and we needed to maneuver around the demolished  
9 Pier 7, which you can't see, between Piers 6 and 8.  
10 The Bay Hydrographer was able to find that there were  
11 some remnants of the destroyed pier in the slip where  
12 we went to maneuver the ship and we were able to, once  
13 we knew that, those obstructions were there, the  
14 contractor, a contractor was able to remove them and  
15 now we have the ship in there.

16           We also use paper charts, and this is an  
17 example of the print-on-demand product that provides  
18 personalized updated charts. Our harbor chart has all  
19 the terminal names and pier depths overlaid on it,  
20 which is very useful for, I say, particularly our new  
21 trainees but some of the older pilots need to have a

1 refresher, too. For the, we also obviously use to a  
2 great extent the PORTS information. This is our Links  
3 Page on our proprietary Website and you can see the, at  
4 least those are the topics that have all the different  
5 PORTS sites that pilots use all the time, and this is  
6 accessible from the laptops while we're on the bridge  
7 of the ships. Our laptops are locked down in that you  
8 cannot go anywhere on the Internet. You can only go to  
9 these sites. And these are chosen because of the  
10 popularity amongst the pilots.

11           So, of the PORTS sites, the topic you see  
12 on these slides, the graph, this one shows specific  
13 gravity or solidity and this is obviously very  
14 important for the ships that are going to be loading  
15 here. We have a port that varies from fresh to  
16 brackish throughout the year depending on the amount of  
17 rain and for loading and taking maximum load and taking  
18 into account the specific gravity of the water so the  
19 ship can maximize load. This is an important feature.  
20 Another one we use frequently is the tide height. We  
21 only have about a foot and a half tidal range here in

1 Baltimore but we do use high water to load additional  
2 cargo into these ships to maximize profit and to do it  
3 safely. I think Frank will have more on that.

4           The other draft issue we have is air draft.  
5 That's a picture of one of the bridges in the  
6 Chesapeake and Delaware Canal and the clearance is only  
7 136.4 feet at mean high water. So that's a challenge  
8 for a lot of today's ships. We will either slow a ship  
9 down, or, well, we'll slow a ship down, if necessary,  
10 to make sure we're not arriving at these bridges out of  
11 high water and they're not going to fit in.

12           For very special circumstances or our  
13 projects, we use the Chesapeake Bay Operational  
14 Forecast System, the CBOFS, which will give us data on  
15 unusual circumstances so we can take advantage of it.  
16 In this case you can see that you have the astronomical  
17 tides in blue, the meteorological tides with the green  
18 dashed line and then the actual tide is the red Xs, or  
19 the red line.

20           We use this for planning purposes for  
21 maneuvering a ship that is very deeply laden into a

1 berth, or, in this example, to get underneath a bridge  
2 that has very limited clearance. That's a container  
3 crane headed out of the Port of Baltimore, an old  
4 container crane. And on this picture you can see the  
5 guy at the top measuring it. You know, we had about a  
6 foot extra clearance there.

7                   The bridges, not only Chesapeake and  
8 Delaware Canal but also the Bay Bridges and the Key  
9 Bridge all have air-gap monitors now. We also follow  
10 water temperature, particularly in the wintertime and  
11 as the temperature drops we prepare for ice operations.  
12 A lot of you probably don't realize that that's the way  
13 Chesapeake Bay looks like in the winter, and it affects  
14 our operations because launches can't get through  
15 there. We will close the launch service and Chesapeake  
16 and Delaware Canal and board ships at the mouth of the  
17 Delaware or Philadelphia terminal, Baltimore, and this  
18 gives us a heads-up about when this is going to happen.  
19 Because of the length of the bay, 150 miles, we use a  
20 lot of the port stations, and that's our example of  
21 them.

1                   The wind for a lot of Baltimore ships is a  
2 big impact. We specialize in car-ships and row-rows,  
3 and to a growing extent passenger ships. All these  
4 ships are severely impacted by weather. And this graph  
5 at the top shows both direction, wind speed and gusts,  
6 which gives us an idea of how we're going to be  
7 handling these ships. And this one shows how it's  
8 going to be throughout the transit. This is an  
9 interactive one that gives you a short-term forecast  
10 for the surface winds. We also have an LNG pier here  
11 in the Chesapeake Bay and there's a station on the pier  
12 that provides all the data we need for handling these  
13 very large LNG ships.

14                   Then at the, excuse me, the mouth of the  
15 bay we have a relatively new wave buoy off Cape  
16 Kettering that gives us, of course, wave height and  
17 direction to help us board or disembark a ship by  
18 making a lee.

19                   Now, some of you know, some of you don't  
20 know, a lee is produced by using the ship itself to  
21 block the wind and waves so we can safely jump between

1 our pilot launch and the ship's. Here's an example of  
2 our launch we had on a typical day. And, using the,  
3 well, because things haven't -- some things have  
4 changed but a lot of things haven't changed, we still  
5 climb aboard these ships just like we have for hundreds  
6 of years.

7                   The wave buoy gives us a little better  
8 heads-up so we can make a better lee. There's a  
9 picture of a good lee, relatively calm, pilot going up  
10 the side of the ship. And then here's an example a bad  
11 lee. And that's it. Those are the types we use. My  
12 input would be please keep funding all those projects.  
13 Thank you very much.

14                   (Applause)

15                   MR. SKINNER: Thank you, Captain. I think  
16 we'll hold panel questions until we go through all of  
17 the different presentations. And, Captain, we  
18 appreciate you being here, cold or no cold. So, thank  
19 you very much for making the effort. I will give you a  
20 heads-up that one of the things that, the questions  
21 that we tend to focus on are what is being done that's

1 right that you would like to see more of, where could  
2 there be improvements, give some feedback to the panel,  
3 so, as your, to the other presentations, if you could  
4 think about that, that will probably be the focus of  
5 some of the questions. So, and the next, next  
6 presentation.

7 MR. HAMONS: Good morning. I'm Frank  
8 Hamons, and Deputy Director for Harbor Development for  
9 the Maryland Port Administration. Just to give you an  
10 idea of what we do, we are responsible for everything  
11 that takes place in waterside for the port. And, we  
12 are kind of unique in the fact that we are responsible  
13 for coordinating all the dredging of the channels. We  
14 also look forward long-term how much dredged material  
15 will be generated.

16 So, we look all over the bay for dredged  
17 material placement sites, options, things to do with  
18 the dredged material. And, we select, design,  
19 construct and operate those sites and we also  
20 coordinate all navigation systems for the port along  
21 with, we use a very effective committee on which plays

1 a very large part, our Harbor Safety and Coordination  
2 Committee, and we're able solve all kinds of problems  
3 right then and there using that committee, that works  
4 marvelously, I think. The Pilots are on the committee,  
5 Corps of Engineers; Coast Guard is on the committee,  
6 everyone who is needed to solve a navigational problem  
7 or a channel problem.

8 I hated following Eric because he gets the  
9 sexy part. You know, we're the local sponsor for the  
10 ports and I convinced our people to take ports,  
11 limited-support ports by going to our executive  
12 director and I had gotten the script from the pilots,  
13 and I set him down and said here, do this, I'm going to  
14 give you some situations here, going to give you a  
15 scenario in the Chesapeake bay and I'm going to put you  
16 on the bridge of a ship and we're going to navigate a  
17 hundred and fifty miles up the Chesapeake Bay to the  
18 Port of Baltimore.

19 And, I had already gone through this with  
20 the pilots so that we knew that the conditions at each  
21 channel section was right and we had cross-winds and

1 cross-currents and everything else, and what he'd have  
2 to worry about, et cetera. And by the time we got to  
3 Baltimore he said do it. So we became a local ports  
4 sponsor and we have the largest port system I think in  
5 the country because it comes all the way, 150 miles up  
6 the bay and then goes through the C&D Canal, so, and it  
7 serves us extremely well.

8                   So, what I'm going to tell you, just a  
9 little bit about the Port of Baltimore, pertinent facts  
10 and that we use the system, the NOAA's navigation  
11 services products, hydrographic surveys, NOAA charts,  
12 PORTS system. I won't talk much about that because I  
13 knew Eric would. And potential modification, we had  
14 one thing, okay, we'll bring this up, and I'll show you  
15 what it is. It's not that bad. It's a minor thing.  
16 It's just procedural.

17                   Port of Baltimore, major economic engine  
18 for Maryland, 50,200 jobs and, you know, if you have  
19 been in any port, it's obligatory, ports have to tell  
20 you this. We have to tell you how important we are.  
21 68,300 other jobs directly related, 3.6 billion in

1 personal wages and salaries and some of the other stuff  
2 that I left out. An inland port with 135 miles of  
3 dredged channel -- and that's key -- 50 foot southern  
4 approach, 35 foot northern approach channels, generates  
5 about five million cubic yards of dredged material  
6 annually and that's where we make a lot of use in NOAA  
7 charts.

8                   And I don't know if you have ever thought  
9 people use the your charts in that way but I tell you,  
10 we use them extensively in the Dredged Material  
11 Management Program. And base data for preliminary  
12 scanning and potential placement site options, we look  
13 all over the bay and looked at several hundred sites  
14 and options.

15                   The first thing we do is pull out the NOAA  
16 chart. We do it electronically. We do it with paper.  
17 And, you start looking because there's a lot of things  
18 that are important when you are selecting a site. One  
19 of the most important things happens to be the  
20 hydrography, how deep is it, what kind of contours do  
21 you have there, et cetera. So we start with NOAA

1 charts.

2                   And we only had one incident, which I had  
3 to smile about, and I'll tell you about that, too,  
4 because we were looking in one place, said how old is  
5 this data, it's being resurveyed, and NOAA's out there  
6 at the time resurveying the data. It was being  
7 resurveyed on its hundredth birthday. It was, the data  
8 was a hundred years old and surprisingly still pretty  
9 accurate. But it was being resurveyed so that was  
10 fine. What we do is we then start selecting these  
11 options. You go through and then you start screening  
12 them and cutting them down. It's a short list.

13                   All of this, you are still working on the  
14 NOAA data and you know your preliminary calculations of  
15 how much it's going to take to build dikes in this  
16 area, if you're going to build dikes, what the capacity  
17 of the site would be, what kind of environment you're  
18 in, if you're in shallow water, deeper water, whatever.  
19 So it has an environmental implication, what you're  
20 doing, helps you makes the selections. And you're  
21 doing all this before you really, this all planning

1 level data but it's critically important to us when  
2 we're doing this.

3                   Now, we also use electronic files here,  
4 Raster images imported to CAD and then used for site  
5 layout design. And we do quantity takeoffs at recon  
6 level of investigation, using NOAA charts. So,  
7 anywhere in the whole bay is game for this. You know,  
8 we will look at a product anywhere and, fortunately  
9 NOAA has recently been resurveying a lot of the bay so  
10 we have a lot of good recent data to work with. Here's  
11 just an example to show you. This is the outline of  
12 Masonville. This is, this site is under construction  
13 right now, an outline showing that that's how we  
14 started with the NOAA charts. We do all of our  
15 preliminary calculations using the charts.

16                   Now, determining initial project planning  
17 dimensions for new access channels and access channel  
18 modifications, we do that, too, to meet desired  
19 limiting depths, scaling channel dimensions and making  
20 rough projections on channel design and dredging  
21 quantities. Basic accuracy of NOAA charts is essential

1 to the generation of planning level project data.

2                   The more recent the survey, of course, the  
3 more accurate the estimated project data will be  
4 because of the fact that the bottom data is very  
5 accurate. And here's an example of that. And this is  
6 a cruise ship channel modification that we did to South  
7 Locust Point and you can see that we, you know, we just  
8 did a section here off NOAA chart, plotted it out,  
9 determined what the project was going to require, et  
10 cetera, works beautifully. So, I don't know if this is  
11 one of the things you had in mind when you started  
12 doing these charts but they certainly work well for  
13 us in both paper and electronic form again.

14                   The PORTS System, Port of Baltimore, again,  
15 it's near the head of the bay, 150 miles, 70 miles of  
16 dredged channel on its southern approach, 113 nautical  
17 miles of the ocean, 65 miles of dredged channel on its  
18 northern approach. So, if you run through, Eric is  
19 bringing ships through a lot of dredged channel,  
20 definite dimensions. Middle of the bay is fine. He  
21 can open up, you know, run twenty knots up the middle

1 of the bay but dredged channel is a different story  
2 especially in the C&D. In this 65 miles of dredged  
3 channel, on its northern approach, 113 miles takes you  
4 all the way down to Delaware to the ocean. This is  
5 four hundred feet wide, this channel.

6           So, it isn't a lot of room for error in  
7 that one. Coming through, and ships that come through  
8 there over 900 feet, 970 feet, I think, so, you can't  
9 stop and turn around too easily -- so it's a, it's very  
10 important for us to keep these channels as clear as we  
11 possibly can and that's, from my perspective that's  
12 where the NOAA -- comes in, we're selecting and  
13 planning for the dredged material placement options  
14 that we have around the bay.

15           And we're just shutting them down on Miller  
16 Island, another one Poplar Island where we dredge  
17 material and we're recreating, reconstructing those  
18 islands, debating what was there before, Poplar Island  
19 is 1140 acres right now, soon to be expanded by another  
20 570 acres, half wetlands, half upland. And so we're  
21 adding, added that back into the bay using dredged

1 material. And, it all started with the NOAA chart.

2                   So, with the port's ships in transit  
3 Baltimore channels safely and cost effectively while  
4 loaded to with two to two and a half feet of the  
5 bottom. That's important. Most ports drain their  
6 channels now just to stay competitive, of course do it  
7 effectively as long as its maintained and for that we  
8 need places with dredged material. And, Eric talked  
9 about the ports -- sailing addition.

10                   So, updating NOAA charts to show recent  
11 modifications. Here's potential modification of  
12 procedure. We had a client, one of the largest  
13 shipping lines -- actually the second largest in the  
14 world, the largest survey in this port, and we modified  
15 our channels at Seagirt Marine Terminal so they could  
16 add some extra depth to the ships coming in.

17                   And they were actually, saying is it done,  
18 is it done? Well, it was done and we wanted to get it  
19 on the charts because, you could talk to a shipping  
20 line all you want and say we're leaving this channel  
21 but they want to see it on the chart and that's the

1 only way it's going to work. We couldn't get it on the  
2 chart.

3           The reason we couldn't get it on the chart  
4 is because NOAA wanted a Corps of Engineers survey and  
5 we had some of the best hydrographic surveyors around  
6 who had done this but it still had to be a Corps of  
7 Engineers survey. The problem was Corps was busy so  
8 we're trying to respond to there customer's complaints  
9 about I want to take ships in there about three feet  
10 deeper and but he couldn't do it until some of the  
11 charts for liability reasons, et cetera. So what we  
12 would suggest is that you might consider using  
13 certified hydrographic surveys commissioned by ports,  
14 re-updating project dimensions on the depths on the  
15 charts.

16           The reason I say there I know the Corps of  
17 Engineers and work with them all the time but I suspect  
18 that if you went from one district to another district,  
19 had them both do the same hydrographic survey you would  
20 run into the same kind of differences between those two  
21 surveys, you would between any other surveys. So what

1 you really need to make sure is that it's a good  
2 survey, that it's been done well and there are ways to  
3 check those, you know.

4                   So, basically, that was the only thing.  
5 Like I say, it took us three months to get it done and  
6 that was pretty good, I think, and we stayed after it  
7 and we had a lot of help from people within NOAA but it  
8 took us that long to get the Corps to get the survey so  
9 that we could actually get it changed.

10                   So, basically, statement of support, MPA  
11 recognizes the importance of the services and products  
12 provided by NOAA for navigation to and from the Port of  
13 Baltimore. Ninety-five percent of world's cargo moves  
14 by water. It is important to ports and to world trade  
15 that services provided by NOAA are continued at or  
16 about existing levels. I mean, we use you guys all the  
17 time and we appreciate your cooperation with us on the  
18 Harbor Safety and Coordination Committee. It works  
19 well and, we wouldn't want to try it without you so  
20 thank you.

21                   (Applause)

1                   MR. SKINNER: Thanks very much. Captain  
2 Barnum and I were talking about how most photographs  
3 you see with the height, the gap from bridges are from  
4 San Francisco. It's nice to have one sort of right in  
5 the backyard of -- well, not nice to have one but it's  
6 nice to show the example sort of right in NOAA's  
7 backyard here in Baltimore. So thank you very much.

8                   MR. BAILEY: Good morning. My name is  
9 Keith Bailey. I'm the President of the Maryland  
10 Society of Surveyors. I apologize if you do not have a  
11 select power point. I've been undergoing some  
12 professional changes in last four weeks so resources  
13 were a little bit limited so it's just going to have to  
14 be the entertainment today.

15                   Tell you a little bit about our  
16 organization. We have over 800 members of office and  
17 field technicians, including licensed surveyors. We're  
18 an organization for the advancement of surveying,  
19 particularly in the State of Maryland -- the education  
20 of the public we assist and developing standards of  
21 accomplishments. When I tell you what land surveyors

1 do you understand how important NOAA's services,  
2 particularly the National Geodetic Survey is to us. We  
3 determine positions, positions of boundaries, existing  
4 features such as roads, buildings, utilities, the shape  
5 of the ground and new construction. So, what you offer  
6 is extremely important for us.

7           What we particularly use is the National  
8 Spatial Reference System or the NSRS. A lot of the  
9 counties in the State of Maryland save a few of the  
10 western counties require that new development be on a  
11 referenced coordinate system, which NGS provides. It's  
12 continually moving, particularly if you talk to Michael  
13 Farmer and Dave Doyle, they know the ground is  
14 continually shifting. So, there's always continued  
15 enhancements with the NSRS.

16           We rely on heavily the state agencies that  
17 we work for, particularly State Highway, MBTA, MTA,  
18 require those surveys to be on a specific coordinate  
19 system, Maryland State Planning Coordinate System.  
20 Without your established permanent control stations, we  
21 could not do that. The first thing that we do when we

1 obtain a project is to get on that Website and find out  
2 where your control stations are. That's the first  
3 place we go. I know it's saved in my favorites. It  
4 also helps to enhance our vertical and horizontal  
5 accuracies for our control, which is also very  
6 important because we do have to adhere to a minimum set  
7 of standards within the State of Maryland that requires  
8 us to achieve a certain level of accuracy.

9           One of the other operations that we use is  
10 your continually operating reference system or your  
11 core stations which are located throughout the country;  
12 actually, it's throughout the world if I'm not  
13 mistaken. It supports global positioning system  
14 projects, which a lot of surveyors these days are very  
15 well versed in and very much a part of. It also helps  
16 to assist in the real-time kinematic networks that a  
17 lot of the vendors are using or establishing.

18           It used to be that when we began a project,  
19 if it was to be a GPS project we would have to  
20 establish a network which would take hours for us to go  
21 out to survey and we would have to calculate

1 the boundaries, put horizontal and vertical and then  
2 perform a site adjustment and download all that data  
3 and then we could start surveying. But the real-time  
4 kinematic networks that are accessing all of your core  
5 stations, all we do is we dial into the surface and we  
6 start surveying. So, we're taking twelve hours of work  
7 and reducing it to about fifteen minutes.

8                   The course also helps to create density and  
9 redundancy for people who will do the GPS networks.  
10 Typically the GPS networks are done when there's an  
11 extremely high level of accuracy that's required.  
12 These will allow us to pull the data down from the  
13 Website and add it into our calculations, which again  
14 helps us to adhere to rigid accuracy standards. It  
15 also provides ties to the National Spatial Reference  
16 System, so if we don't, if we cannot find a benchmark  
17 or a horizontal control station within the limits of  
18 our project, we go ahead to GPS and bring in the CORS  
19 data; we're on the system. We're good to go.

20                   The other thing that we use is the Online  
21 User Positioning System or OPUS. This is a great tool.

1 It's a very, very good tool. Again, we use it in  
2 concert with GPS. This allows us to download our GPS  
3 data and upload it into the OPUS system and within a  
4 matter of minutes we will receive an e-mail to  
5 calculate the values. Now, I will tell you that not  
6 everybody uses this as their final values. They will  
7 use it as a check, however. So, it does, it assists us  
8 in providing quality controls and it's very simple and  
9 easy to use.

10                   What I would suggest is to continue the  
11 enhancement of the NSRS system. Again, as I mentioned,  
12 the earth is continually moving. There's continuing  
13 adjustments in the Geoid and this allows us to maintain  
14 the level of accuracies that we require. Continue to  
15 improve the Web interface with the OPUS system, it's  
16 come a long way since the introduction, I would say,  
17 about eight years ago, when we first started seeing it,  
18 and it has become a very user-friendly but there's  
19 still some improvements that can be made, particularly  
20 with the static, static calculations.

21                   And then continue your leadership in

1 developing guidelines for programs such as the  
2 real-time networks. Just recently I attended a seminar  
3 at the Maryland Society of Surveyors' fall conference  
4 where Bill Henning unveiled his draft for guidelines  
5 for the MGN. What that does, that helps all of the  
6 surveyors work on the same page. They're all using the  
7 same methodology. So, in closing, I would like to say  
8 that we greatly benefit from NOAA's services and  
9 particularly NGS and we look forward to continued  
10 funding and continued enhancement of those services.  
11 Thank you.

12 (Applause)

13 MR. SKINNER: I know we're hitting the hot  
14 buttons for this panel from the violence to the  
15 importance of the Port of Baltimore and also the  
16 technical aspects, so, thank you all very much. And  
17 now we're moving onto a private sector perspective  
18 which has also been very important to this panel.

19 MR. FITZGIBBON: Thank you. Good morning.  
20 My name is Stu FitzGibbon. I'm an environment manager  
21 at the Domino Sugar Refinery, which actually is a

1 member the American Sugar Refining Company. And,  
2 before I start I would like to preface this by saying,  
3 you should consider this as an example of the private  
4 sector. We are one of many users of the waters of  
5 United States for the purpose of manufacturing  
6 products. And, I'm just one of many, so, hopefully you  
7 see it from a larger scope than just Domino.

8           You're also familiar with the economic can  
9 sign. A couple of facts, this refinery here is the  
10 second largest refinery in North America. We make 6.1  
11 million pounds of sugar per day, also one of the  
12 busiest bulk marine discharge terminals, bringing in,  
13 we usually have a ship alongside and we're bringing in  
14 a ship about every seven to ten days.

15           Just like the port has to put it's numbers  
16 up, I'm a member of the private sector so I have to say  
17 this. Just this plant alone provides jobs funding  
18 about \$80 million a year. We subcontract about \$12  
19 million a year. And one thing that's of critical  
20 importance is this issue of the infrastructure because  
21 manufacturing across the world and especially in North

1 America is interdependent. Hershey Foods, General  
2 Foods, all the big food manufacturers that you're  
3 familiar with are dependent on somebody supplying them  
4 with raw materials and one of their largest ingredients  
5 is sugar. Should sugar go away for one reason or  
6 another there would be a waterfall effect and a  
7 multitude of other facilities would suffer the  
8 consequences. So it's very much a Swiss cheese effect  
9 where at some point without manufacturing, these  
10 jobs all leave North America.

11                   Interesting facts, these are unionized  
12 jobs. The average wage before fringes is \$57,000 a  
13 year. We add a significant amount to that, that's  
14 \$80,000 a year, these folks are blue collar workers,  
15 high school education. Without this type of job they'd  
16 be earning 25, \$30,000 without fringes. Professional  
17 staff, we have engineers, people like myself with no  
18 other way to earn a living and they're pulling in a  
19 hundred thousand a year.

20                   Another thing I think you should understand  
21 about manufacturing is we have direct jobs and induced

1 jobs. The typical ratio for a manufacturer is that for  
2 every one job you are creating two and a half other  
3 jobs, pilots, for instance, and, we have  
4 subcontractors, we have other manufacturers to depend  
5 upon. It's a very real fact. One of the questions I  
6 always get asked is, well, how many employees do you  
7 have? I get into this speech every time. Because we  
8 only have 500 employees but we're creating over 1200  
9 jobs.

10                   This is how we receive our raw material and  
11 this sort of leads me into the developed piece of the  
12 equation, big bulk carriers with raw sugar and we also  
13 discharge with cranes and that brings us into water and  
14 the air issues. This is our raw material. It's  
15 produced anywhere across the globe. That's raw sugar  
16 we're receiving in vessels that are 50 million pounds.  
17 And, it's a bulk chemical; it's not a food.

18                   So, for water, we use water in a multitude  
19 of ways and what is important to us is the temperature  
20 of the water and, of course, the tide. Water  
21 temperature, we're a citizen of the environment and we

1 don't want to do bad things to the environment and we  
2 have restrictions on how we can operate. And for an  
3 example, this plant here processes, recirculates 30,000  
4 gallons a minute of bay water.

5                   So, millions of gallons of water are  
6 circulating through the plant. We don't add any  
7 ingredient to it but we do increase the temperature of  
8 that water through the process. And we are not allowed  
9 to discharge above 95 degrees Fahrenheit, which at  
10 times can be problematic because the bay itself in the  
11 summer exceeds 95 degrees Fahrenheit. So we carefully  
12 monitor that but also in the sugar refining process  
13 we're using bay water to do evaporation, we create  
14 vacuum and the temperature of bay water can affect  
15 that.

16                   So here's an example of one of your  
17 products that we use. We are very interested in water  
18 temperature, not so much air temperature but water  
19 temperature because of our constraints on operations  
20 and we will shut the refinery down in the event that it  
21 looks to us like the water temperature is going to

1 become unworkable. That might seem like a minor  
2 decision but at \$10,000 an hour it's a big deal.

3           Furthermore, we have to be able to predict  
4 this. A facility like ours has a 16 to 24 hour  
5 momentum to it so should we decide to shut the plant  
6 down it's going to be 16 to 24 hours before we can  
7 actually accomplish that. We monitor the bay water  
8 temperatures with our own instrumentation, and one of  
9 the problems is instrumentation goes bad, as I'm sure  
10 you're all well aware, and we need to validate our data  
11 and we do that with your charts. And three's been many  
12 a night at 2 o'clock in the morning on the phone with  
13 the foreman telling him you need to go on the Internet  
14 to the following site because before we shut the plant  
15 down we need to know that our instruments are right.

16           Water level is an interesting issue for us.  
17 Obviously, as Captain Nielsen commented, the vessel  
18 transport issues are large and just like any other port  
19 facility, we're very interested in draft and we assume  
20 the pilots can get them to us and we have good success  
21 there. The other issue is that water levels can affect

1 our operation because if the tide or water level is  
2 extremely low, we have to shut the plant down because  
3 there's not enough water to bring into the plant. I'll  
4 talk a little bit further about that in a minute.

5                   And also storm surges, and I don't know how  
6 many of you are familiar with the Isabel event here but  
7 Hurricane Isabel was an unusual confluence of tides and  
8 winds. And, again, if we had been a little bit better  
9 at seeing that coming it would have not had as much  
10 consequences to our facility. And as it happened we  
11 were done for almost four days. It's a very high cost.

12                   So, you've already seen this chart once.  
13 This is something that I look at very carefully when  
14 the need arises. We also accept vessels at times that  
15 will potentially block our discharge points where we  
16 are recirculating water to the bay, and we don't want  
17 to have that happen so we will choose to receive a  
18 vessel at high water levels. And then, of course,  
19 there's the issue of not being able to see the vessel  
20 in, because of water levels.

21                   Let's talk a little bit about air and wind.

1 These are cranes. I don't have a better picture,  
2 unfortunately, but cranes are wind-dependent. We can't  
3 operate them above 35 or 45 miles an hour depending on  
4 the crane. It's a safety issue. And, we often get  
5 into wind speed discussions. Again, we have our own  
6 wind speed monitors which are trended but we also use  
7 NOAA's information to try to predict when we're going  
8 to have a wind event. Because, if you have a wind  
9 event and you're not prepared for it, you can't just  
10 shut a crane down and run down the stairs. You have to  
11 secure it and it's a very big deal. We had an event a  
12 couple years ago where we were unable to secure the  
13 crane in time and that caused \$2 million worth of  
14 damage to the crane.

15 Wind direction at least in Baltimore Harbor  
16 can be a very interesting problem, because regardless  
17 of what you might predict for tides, the wind can make  
18 unusual things happen. You can have a predicted high  
19 tide where you actually have almost no water in the  
20 Inner Harbor because the wind is driving the water away  
21 from the harbor and you can have the opposite where in

1 the case of Hurricane Isabel, where we were predicting  
2 just a little bit above normal high tide but the wind  
3 drove the water into the bay and we had an extremely  
4 high tide. Both of these had dramatic effects on our  
5 operation.

6 I talked about that -- so, this is your  
7 current product that I use although I see there's  
8 another one I haven't seen. So, in terms of  
9 constructive feedback, imagine talking with a high  
10 school graduate on the phone at 2 o'clock in the  
11 morning and saying to them, "Well, what are you  
12 expecting to happen with the water?" "What direction  
13 is the wind coming in?" Well, they can't read stuff  
14 like this. They're not trained on that. And, you  
15 know, this is scientific terminology but you've got to  
16 recognize that some of the users of your products are  
17 not trained scientists.

18 So, feedback, you should know your users,  
19 which is what you're doing right here. More emphasis  
20 on predictive trends, if you go back to this, maybe  
21 there's products I'm not aware of but with a 16 to 24

1 hour momentum to the plant, it's hard to predict. The  
2 tide chart has a very good predictive element to it.

3                   One thing I would like to see is, let's  
4 look at a particular point in time for history. I've  
5 had to go back several times and look, you know, at  
6 explanations that are given to me in the facility and  
7 look at the actuality of what happened at that point in  
8 time down to, you know, an hour or two.

9                   And, finally, you're doing good stuff.  
10 It's very powerful for a facility like me, and I  
11 represent a multitude of users, nuclear power plants,  
12 there are multitude of other industrial concerns that  
13 are dependent on the import and export of materials  
14 through the ports. And I think you're doing a hell of  
15 a job. Thank you very much.

16                   (Applause)

17                   MR. SKINNER: Thank you. It's very  
18 interesting to see a large corporation using a whole  
19 suite of hydrographic data as you folks are at your  
20 facility. The panel has also been historically very  
21 interested in the relationship between or among NOAA

1 and its sister agencies so we're very fortunate to have  
2 both the Army Corps and the Coast Guard here today on  
3 this panel so thanks for being here.

4                   MR. GOLDER: Good morning. My name is  
5 Steve Golder. I'm with the Corps of Engineers in  
6 Baltimore. And I'm the chief of the survey team. I  
7 put together some brief slides on what we do and why we  
8 use NOAA products. The survey team performs routine  
9 hydrographic surveys to monitor local rivers and  
10 waterway navigation conditions for federally authorized  
11 channels. The information is used as a decision-making  
12 tool for Baltimore Harbor, channel maintenance  
13 operations and planning, and along the Baltimore Harbor  
14 we use a lot of NOAA tidal stations and NOAA  
15 benchmarks. We depend on NOAA benchmarks basically.  
16 That's what we do.

17                   And engineering type work we do, this is  
18 the River Fringes. We depend on NOAA benchmarks to  
19 complete projects like this. Baltimore District  
20 maintains a hundred projects in the Maryland portion of  
21 Chesapeake Bay tributaries and Potomac River, along the

1 Atlantic Coast of Maryland. There are two  
2 organizations. We have the shallow draft, which is  
3 five to fourteen feet below the water, and the most  
4 major project we have is the Wicomico River, which is  
5 30 miles long. And we need NOAA's support put in some  
6 tidal stations along the '83 to '01 Tidal Epoch. And  
7 everybody knows the Baltimore Harbor, which is the deep  
8 draft. This is a kind of overview of what we do of  
9 different projects that we cover.

10                   The structure of the survey team, basically  
11 the navigation division, the navigation branch  
12 underneath the operation division, we have three  
13 sections. We have the navigation section, we have the  
14 Baltimore Harbor section and we have the survey  
15 station. The navigation section has the project  
16 managers that run all the programs.

17                   The Baltimore Harbor has project managers  
18 that just deal with Baltimore Harbor and then the  
19 survey team deals with the condition surveys and  
20 whatever the project managers want us to do. The way  
21 that we're structured is the survey team receives

1 funding for condition surveys and the project manager  
2 gives the survey team funding for dredging projects.  
3 Most of the data is collected using Hypack, Bentley  
4 Microstation XM software and we use Inroads to put the  
5 data on the charts.

6           The deep draft, basically collect data  
7 using the DGPS Odem depth sounder, Odem velocity  
8 profiler, PODS-MV, the calibration bar and manual  
9 tides. This is the deep draft boat which is The  
10 Linthicum; the shallow draft boats, the same thing,  
11 DGPS unit, Odem depth sounder, sound velocity profiler,  
12 calibration bar and manual tides. This is the Hydro I,  
13 which is our spare boat that we send out when we need  
14 it. This is Hydro II. This boat right here travels 40  
15 to 45 weeks out of the year down on the small projects.  
16 As you can see this has the POD-MV on it and it has a  
17 GeoSwath system in it so we can do multi-survey if  
18 needed.

19           Okay. The NOAA products, all federally  
20 maintained channels are surveyed to mean lower low  
21 water for the '83 to 2001 Tidal Epoch and like I say,

1 we used NOAA's published data. Most benchmarks used  
2 come from NOAA's tidal benchmark database. Okay.  
3 Projects that are without the '83 to '01 Tidal Epoch,  
4 we basically do two four-hour sessions and we send it  
5 through OPUS. we get a coordinate and we use V-DATUM.  
6 V-DATUM helps out a lot. This is the Website that we  
7 have and, if you want to get the data down, you can go  
8 to the Corps Website and pull down the information.

9           The future improvements, the first one,  
10 Baltimore Harbor is, Baltimore District is working to  
11 get NOAA's products in a timely manner. The problem  
12 that we have is like right now is Baltimore Harbor  
13 making its contract. So that's the focus of the deep  
14 draft boat and the focus of the processing, is  
15 Baltimore Harbor. The project costs about 15 to \$20  
16 million and it takes us until June to get everything  
17 finalized.

18           Actually, the survey has at least 85  
19 percent of Baltimore Harbor surveyed right now but  
20 because the focus is on the maintenance dredging,  
21 that's the focus. So around August we normally process

1 the rest of the data and publish it on the Website and  
2 let NOAA know that it's on the Website so they can pull  
3 it down.

4           The District is looking to update its  
5 survey vessel, The Linthicum. It's scheduled to have a  
6 new survey boat by 2012. We're looking at the new Bay  
7 Hydrographer, that type of boat. The Baltimore  
8 District is planning to participate in NOAA's training.  
9 We found out this year that NOAA does training around  
10 February and March timeframe. And we had an  
11 invitation. We couldn't make it but we're hoping to  
12 make it in the future.

13           Like I say, we are upgrading now our  
14 equipment. We're looking to get some better GPS  
15 receivers and we're looking to get a 200 kilohertz  
16 multibeam system. On The Linthicum right now we have a  
17 8125, which is a 455 kilohertz. We cannot use it for  
18 dredging purposes so that's why we have to stick to the  
19 single-beam. Now, for condition surveys we will use it  
20 for conditions but not for multibeam, I mean not for  
21 contract work.

1                   Okay. NOAA products, like I say, V-DATUM  
2    is a plus for us. It really is a plus for us. The  
3    tide gauges, like I say, we can use a couple of tide  
4    gauges along the Wicomico River, which is a 30 mile  
5    project. And we would like NOAA to keep updating its  
6    tidal benchmarks.

7                   This is Poplar Island, one of the major  
8    projects out there that the dredged material is going  
9    through. And basically the Baltimore District has  
10   cooperated with NOAA on two efforts at Poplar Island,  
11   establishments of tidal datum the project, after NOAA,  
12   after our North Atlantic Operations Section folks  
13   assisted with the calibrations, gauging tidal bay  
14   equipment and showed us some of the new installation  
15   procedures the Corps installed, the tide gauge at  
16   Poplar Island, and how it got a company do a tidal  
17   study on it. And the second one was establish  
18   sedimentation erosion tables in Cell 3. And that's it.  
19   Thank you.

20                   (Applause)

21                   MR. SKINNER: Thank you. Sounds like

1 Baltimore keeps the Corps fairly busy. And, it's nice  
2 to see another agency using so much of NOAA's data and  
3 also thank you for those specific recommendations.  
4 Moving on, one of the topics in the Most Wanted report  
5 that this panel produced included a section on other  
6 uses of hydrographic data. So, David we're looking  
7 forward to your remarks.

8 MR. NEMERSON: Thank you very much and  
9 thanks for inviting me. I'm David Nemerson. I'm a  
10 conservation biologist at the National Aquarium. So  
11 yeah, I'm one of sort of the nontraditional users of  
12 NOAA data. That makes me the guy in the room without  
13 the necktie.

14 So, frequently when I use these kind of  
15 things I'm asked, what's an aquarium doing here? And  
16 even more so, you know, in this particular setting.  
17 But we like to think that we are a lot more of an  
18 organization than just people coming into the building  
19 and looking, you know, at our exhibits, and looking at  
20 fish behind the glass.

21 A lot of what we try and do is create

1 programs that go beyond the laws of the Aquarium. This  
2 is our mission statement. By connecting people with  
3 aquatic life we make a better world for both. We  
4 certainly try and make that connection when people come  
5 into the building but we also -- and this is really  
6 what I do with the Aquarium, try and create programs to  
7 get people out of the building and really get them  
8 connected to aquatic life.

9                   And this is actually out on Poplar Island,  
10 which you've already heard about a couple times today,  
11 and these are community volunteers doing a large  
12 community-based wetland planting event out on Poplar  
13 Island. These are great events that get people out  
14 into the bay, and get them muddy and sort of get them  
15 experienced in different habitats around the bay  
16 firsthand.

17                   So, as I said, you know, the main focus of  
18 our programs are community-based wetland restorations.  
19 We find it's a great tool to get large numbers of the  
20 public out into bay habitats and get them excited and  
21 energized about bay restoration and preservation work.

1 A lot of what we do, we worked with Frank on and other  
2 partners, which is getting rid of this 5 million cubic  
3 yards of material that needs to be dredged out of the  
4 approach channels every year. And a lot of what we do  
5 is try and find beneficial uses of that. And a great  
6 use of dredged material is marsh restoration and marsh  
7 creation. So, a lot of our projects do take place on  
8 beneficially-placed dredged material.

9                   This is what one of our smaller projects  
10 might look like. This is out on Eastern Neck Island,  
11 which is part of the National Wildlife Refuge System.  
12 These are segmented breakwaters that were actually  
13 placed offshore for erosion control purposes back here  
14 on the bank and were later identified as a place for  
15 beneficial use of a dredged material placement. So  
16 this is what our sites look like before we bring our  
17 community volunteers out to plant them. And that's  
18 fresh dredged material placed behind these segmented  
19 breakwaters.

20                   We do these kind of projects up and down  
21 the Chesapeake Bay, from the mouth of the bay up to the



1 another island out the mid-bay, another National  
2 Wildlife Refuge site. And over the years this island  
3 was eroding badly, putting sea-grass beds in its lee  
4 and putting development back here on the mainland in  
5 its lee at risk. We've worked with the Army Corps and  
6 Fish and Wildlife Service to restore about twenty acres  
7 and we're going to be out planting in this area in May  
8 of this year. So, you know, we're pretty successful at  
9 getting these sites planted, working with our partners  
10 to get the material placed and getting them green and  
11 growing.

12                   But the main thing that I'm interested in  
13 from a scientific perspective, you know, are we really  
14 accomplishing our mission when we just show that  
15 they're green and growing? And that's where what I  
16 call the Three Rules of Marsh Real Estate come into  
17 play, and they are elevation, elevation, elevation.  
18 And that's where you guys come into play. That's, all  
19 the processes that go on out here in a salt marsh are  
20 controlled by these variables. The height of the marsh  
21 and the height of the tide controls how much inundation

1 there is. And certainly in a global sea-level change  
2 environment these are, relative elevation is a changing  
3 number that we need to keep our finger on. So, who are  
4 you going to call if that's what you need to do? Again  
5 it's you guys.

6                   We work a lot with NGS and with NOS because  
7 we have land elevation, we have tide height; bring  
8 those two together and we can start asking the  
9 questions we need to answer about how these marshes are  
10 performing and again in a sea level rise context what  
11 their sustainability is in the long-term.

12                   This is just a little example of, again,  
13 this is out at Eastern Neck Island. These are the  
14 segmented breakwaters. Dredged material was placed  
15 down in the southern end, and we worked with NGS to do  
16 a really detailed RTK survey of this site and produced  
17 this really nice digital elevation model which was done  
18 with RTK by NGS folks, create the digital elevation  
19 model. That enables you to then have really nice  
20 planting guidance as to what species to put out here,  
21 because we have a sense of what species thrive at what

1 elevations.

2                   So, we know that when they place the  
3 dredged material here they want to hit their targets  
4 but to get actual detailed digital elevation model,  
5 post-material placement allows us to map out our  
6 plantings much more accurately on site and then that  
7 provides a monitoring baseline that if we can come out  
8 and do repeated surveys, we get a much better sense  
9 rather than just green and growing but where are these  
10 things living in the tide range, which is the key  
11 variable on whether they're going to be sustainable in  
12 the long-term.

13                   This is just a handout that I made for our  
14 volunteers at that time and just that's sort of the DEM  
15 overlaid over other digital photo, you know, courtesy  
16 of NOAA. NGS, that's just a, one, different way that  
17 we use our products just to kind of inform our, use  
18 your products to inform our volunteers about where they  
19 are and what they're doing.

20                   So, you know, really this is a slide that  
21 just brings it all together, all these different

1 products that mainly, you know, live in NOS and NGS,  
2 and again our tide height elevation and most  
3 importantly real-time change in those parameters over  
4 time. And, to tie those all into a common vertical  
5 reference system is key to the kind of work that we do.

6                   And this is just a little cartoon,  
7 actually, that someone at NGS put together that shows  
8 these kind of ideas of what the level of tide is, where  
9 wetland elevation is. We use something called a  
10 sediment elevation table which gives very accurate but  
11 very spatially restricted information about marsh  
12 surface elevation and the change in that variable as  
13 well. And these animations are really pushing the  
14 system to the limit. Sorry about that. There we go.

15                   So we have subsidence that we have to deal  
16 with, sea level rise and when we can tie that all  
17 together in a common vertical datum we can really get  
18 to understand these processes that are going on that are  
19 driving where elevation is, what inundation frequencies  
20 are and how they're changing over time.

21                   Another thing that we have worked with NGS

1 on is spatially -- vegetation surveys. That's how we  
2 place the quadrat but then we can nail it down in X, Y  
3 and Z. And that's Galen Scott from NGS doing an RTK  
4 survey of these vegetation quadrats. And then we can  
5 create our digital elevation models of our site and  
6 kind of overlay -- this is a marsh grass species --  
7 overlay the density of these species on the elevation  
8 to really get a clear sense of how these processes are  
9 working out on these sites.

10                   This is another thing that I have been  
11 playing around with that NGS has helped me to kind of  
12 bringing to the next level, which is kind of home-grown  
13 aerial photography, using this little helium balloon.  
14 It's a five foot diameter helium balloon from which, an  
15 off-the-shelf digital camera hangs, and you can send  
16 that thing up about 100 to 200 meters above the marsh.  
17 This is a commercial airplane-based aerial photograph  
18 and this is one taken with this low-altitude balloon.

19                   And just looking at those two blowups of  
20 that, the pixel density is, about four pixels per meter  
21 squared on commercial aerial photography and on this



1 more traditional users of your products but this is to  
2 me a great program. It's bringing in, you know, sort  
3 of the wetland restoration community and restoration  
4 practitioners into the great data that you have  
5 available. It gets your technology and data out to a  
6 whole new suite of end users, and probably with the new  
7 administrator I think that will be even, you know, even  
8 more important to get that out to sort of the  
9 restoration and coastal, environmental management  
10 community.

11                   One thing that NGS and CO-OPS has been  
12 doing is to try and write these methods up into sets of  
13 reliable standards that can be rolled out by different  
14 practitioners around coastal sites around the country.  
15 And, for example, all of the National Ocean Research  
16 Reserve sites are now starting to kind of tie into this  
17 methodology and do this kind of work in a coordinated  
18 way with reliable standards.

19                   Just, you have seen these graphs a bunch of  
20 time. I use these all the time. And when you are  
21 taking 150 volunteers out to a site and want to be

1 planting marsh grasses, you need to know what the  
2 current state of the tide is and what it's going to do.  
3 Just one little thing about this is -- I don't know,  
4 and this is more of a technical question. I'd love to  
5 see the sort of duty cycle on this be faster, that it  
6 gets updated more than twice a day.

7                   It often seems like I should have picked  
8 one where the prediction and the actual level were way  
9 off because frequently there's not much of a match and  
10 you're wondering why the system can't update itself and  
11 start making better future predictions knowing that the  
12 nowcast isn't meeting the current stat of tide. So  
13 that's just one little small suggestion. I think  
14 that's all I have. Thanks for the opportunity to  
15 address the panel.

16                   (Applause)

17                   MR. SKINNER: Thanks, David. I think we  
18 used the Fort McHenry restoration project in our report  
19 as an example. I saw it up on your screen.

20                   MR. NEMERSON: Yeah, I did.

21                   MR. SKINNER: And with \$270 million

1 available now through NOAA for habitat restoration  
2 projects you may see a lot more use of this  
3 hydrographic data for these type of projects.

4 MR. NEMERSON: I hope so.

5 MR. SKINNER: Captain Kelly?

6 CAPTAIN KELLY: Good morning. First of  
7 all, thanks to the sound guy over here. You all sound  
8 great this morning. And, I've declared myself a  
9 PowerPoint Free Zone. I'm here to represent your  
10 United States Coast Guard, the 300 active duty, 200  
11 reservists and 1500 Coast Guard auxiliary volunteers  
12 that operate here in the Northern Chesapeake Bay and  
13 over in the Potomac River and all the tributaries in  
14 the area.

15 I got a couple of different roles here. If  
16 you're not familiar with the Coast Guard and what we  
17 call now sectors, the sectors are a combination of your  
18 traditional Coast Guard group that dealt with  
19 search-and-rescue and law enforcement and aids to  
20 navigation, et cetera, and the Coast Guard Marine  
21 Safety Office for the Captain of the Port in any

1 particular region.

2                   We went through a little bit of a  
3 consolidation over the last five years and we took  
4 these separate entities and we tried to create one  
5 captain, one face in the port. Before there was quite  
6 often a lot of confusion with regard to who do I go to  
7 for any particular role.

8                   But, I can tell you that in combining the  
9 roles, it really has done a lot for us to take the role  
10 of the Captain of the Port with the federal on-scene  
11 coordinator or the Federal Maritime Security  
12 coordinator or the officer in charge of marine  
13 inspection or add whatever other hats that I may have  
14 to wear from time to time and put them all in one shop  
15 because it has made our business a lot more effective.

16                   And I believe that it's been, it has  
17 enhanced our ability to collaborate. Because, in  
18 addition to our traditional Coast Guard missions in the  
19 area, I fancy myself as a regional collaborator, that  
20 my job is to make sure that we're working nicely with  
21 all of our federal, state, local and private sector

1 partners, that we don't get it all done by ourselves,  
2 that each one of our entities, whether you're  
3 government or whether you're private sector, carries  
4 with it a particular set of authorities or capabilities  
5 or competencies but you all form together, you all join  
6 together to form a partnership. And what we do when we  
7 do that is we create capacity.

8                   So that we have a whole lot of things going  
9 on here, in particular, in the northern Chesapeake Bay,  
10 it's a very diverse operating area. You've already  
11 heard talk about liquefied natural gas facilities.  
12 We've got a nuclear power plant right on the water. We  
13 got our nation's largest estuary here with the  
14 Chesapeake Bay. We got \$36 billion a year in product  
15 flowing through the port. So there's a lot going on.  
16 And then to complicate things also, on the Potomac  
17 River we also have this thing called the National  
18 Capital Region, which I fondly refer to as The Giant  
19 Black Hole, into which all my attention and effort is  
20 quite often drawn.

21                   My job is to balance all this from the

1 terms of safety and security and stewardship. At any  
2 given point in my three, nearly three years here, it's  
3 been a challenge to balance the three together. And  
4 the way that we do that is by managing risk. There is  
5 no time when I'm making a unilateral decision. In  
6 particular, Captain Nielsen can tell you that through  
7 our Area Maritime Security Committee when things happen  
8 in a port or when things may happen in a port, it's  
9 quite often that I join with my fellow members of the  
10 committee to make a decision as to what we're going to  
11 do because I want to know what the impacts are.

12                   And that's where NOAA and the information  
13 that you are able to provide to us is so beneficial for  
14 us, not only in reacting and responding to cases or  
15 operations but also in planning, to get into the  
16 planning phase. Because, in managing risk we're not  
17 just looking at the incident itself but we're also  
18 looking at our people.

19                   And quite often when we have to put our  
20 Coast Guard and our Coast Guard members out into harm's  
21 way, it's your products that help us go through the

1 operational risk management, leading into the decision,  
2 the ultimate decision on whether we're going to go or  
3 not. So, it's incredibly important to sustain that  
4 level of service to the port community.

5 I talked a little bit about operations and  
6 I have come to conclude having been in my job previous  
7 to this tour, where I ran the Coast Guard's Command  
8 Center in Washington, and now in this job, that you may  
9 have been familiar with the book, The World is Flat,  
10 where the author, Mr. Freedman, Dr. Freedman, describes  
11 the fact that you could be sitting either right here in  
12 the hotel with your wireless connection or you could be  
13 with a wireless card in your laptop sitting over in the  
14 Serengeti in Africa and still have access to the same  
15 type of information.

16 Well, the world is indeed flat. I want to  
17 tell you now, operations are flat as well and that you  
18 will see at any given time on a tour of a Coast Guard  
19 Command Center, whether it's here in Baltimore or in  
20 Washington, D.C., or San Francisco, California, the one  
21 common theme throughout all the Command Centers is that

1 there are graphic displays. Most of them are CNN but  
2 on top of that it's graphic displays. Because, a lot  
3 of our operation is information, and building public  
4 confidence through information, graphic information, is  
5 what is extremely, extremely important, not only public  
6 confidence but also the confidence of our leadership.

7 I don't know how many of you here don't  
8 have a boss but I know my boss in particular and his  
9 confidence is high when I'm able to tell him that I  
10 feel good about an operation because our folks are  
11 organized and they're trained and they're equipped.  
12 And when I say equipped I don't necessarily mean all of  
13 the personal protective equipment that they're wearing  
14 to go out on a mission but also with the knowledge of  
15 what they can expect to encounter. And so much of what  
16 that knowledge set involves includes information that  
17 we get through NOAA.

18 You heard Captain Nielsen and Mr. Hamons  
19 already talk about the various products and the rest of  
20 the panel talk about the products that we can find  
21 online. Thank God for the Internet. And, if I can

1 give you all a virtual hug of thanks, there it is.  
2 Because, we just don't get it done as efficiently or as  
3 effectively without the information that you provide.

4           But it's not just the products that you see  
5 online or in paper, in the charts, but it's also the  
6 services that we receive, anything from post-hurricane  
7 surveys all the way through to hazardous navigation  
8 reports, while out doing surveys and finding hazardous  
9 navigation that the information is shared with us, the  
10 Coast Guard, so that we can put those broadcast notices  
11 to the mariners out there so that the pilots and our  
12 recreational boating public and any type of operators  
13 out there in the water are able to capitalize on that  
14 information to avoid any type of incident. And that's  
15 when I take a personal stake because a lot of time when  
16 it's an incident, that's when I get the phone call in  
17 the middle of the night. So I certainly appreciate  
18 that.

19           And then also, again, touching base with  
20 the people side, there are folks from NOAA that  
21 participate in our waterways analysis on management

1 system and certainly that expertise that you're able to  
2 share with us goes a long way toward our success.

3           A couple of examples where we really rely  
4 on your information, I already mentioned post-hurricane  
5 surveys. The natural tendency for us after a  
6 heavy-weather event is, first of all, to check the  
7 channels, to make sure that they are clear and that  
8 they are also, that they remain at their charted depths  
9 because we know, again, I mentioned, a hundred million  
10 dollars a day, \$36 billion in a year that we need to  
11 open things up as soon as we can following any type of  
12 event.

13           In the case of a natural event, we got to  
14 get the channels open again. We got to certify that  
15 they're open again so we can get the traffic moving  
16 because in these times of just-in-time inventories it  
17 doesn't take very long between closing a channel,  
18 closing a port and the Target shelves in Ottumwa, Iowa  
19 are starting to go bare. So, it's incredibly important  
20 to have your partnership in resolving that.

21           Another example that I like to use is the

1 Eastern Shore of Maryland, which is the Delmarva  
2 Peninsula, Delaware, Maryland, Virginia, which the  
3 folks over there told me that it's not really an island  
4 anymore -- I'm sorry, it's not a peninsula, that we  
5 made it an island by cutting the C&D canal across the  
6 top. So when you look at that, there's only a few ways  
7 to get on the island by vehicle. You've got the Bay  
8 Bridge Tunnel, you've got the Chesapeake Bay Bridge,  
9 and then you've got a couple of ways to go across, up  
10 across the C&D Canal for the Cape May-Lewis Ferry. So  
11 our highways are limited.

12 I also learned over the course of, I  
13 learned early in my tour that over there they've got  
14 themselves about a three to five day inventory of home  
15 heating oil so that in the wintertime it's pretty  
16 important that they keep this flow of home heating oil  
17 into the area.

18 Now, you can compare the volume in a  
19 million gallon barge to the volume of a 5,000 gallon  
20 tanker truck and it doesn't take but simple math to  
21 realize that one barge equals about 200 of those tanker

1 trucks. That's a whole lot of traffic on the road.  
2 Well, why do I bring this up? Well, first of all, I  
3 don't have any ice-breaking capability here in the  
4 Chesapeake Bay but my icebreakers come from down south.  
5 This is kind of weird.

6           My icebreakers come from down south but it  
7 takes a while to get them there so that I use the  
8 information, for example, water temperature, to make  
9 our own predictions with regard to ice formation and  
10 thickness, et cetera, and location, so that I can  
11 position, preposition ice breakers so that we can keep  
12 the channels open, keep the rivers open so that we can  
13 keep the product flowing.

14           So two quick examples. And then there's  
15 two things that I want to leave with you as far as how  
16 you can help us further. Number one is continue your  
17 innovation in providing the products and services, that  
18 I know your attention -- and this is a great example --  
19 to the needs of your customers, your stakeholders, your  
20 shareholders has got to be at the forefront of that  
21 innovation. And the products that you are providing

1 must continue to provide timely, accurate and  
2 meaningful data. So thank you for that.

3                   And then the other thing that I'm going to  
4 leave you with is probably something that you have  
5 never heard. Learn the Incident Command System. If  
6 you haven't done it, you need to know that every time  
7 there's a contingency in this Captain of the Port's  
8 zone, we establish a unified command. Am I right,  
9 Eric, or am I right, Eric?

10                   CAPTAIN NIELSON: You are right.

11                   CAPTAIN KELLY: And to go into a unified  
12 command as a representative of your organization or to  
13 serve as part of the unified command, it's good to know  
14 in advance of the roles within the command structure,  
15 to be able to talk ICS, to be able to understand the  
16 National Incident Management System, because it's very  
17 important to step into those organizations with  
18 knowledge aforethought of what your role is and what  
19 function that you can serve.

20                   And it's very easy. It's a matter of going  
21 to a FEMA Website and taking a couple of

1 introductory-level courses, and that's probably all you  
2 need but by learning ICS, when we need you probably the  
3 most in a contingency is going to be in a unified  
4 command position. So, thanks a lot for your  
5 attention -- sound guy, way to go -- and I'll be  
6 available as well as the other panelists to answer your  
7 questions now.

8 (Applause)

9 MR. SKINNER: Thank you, Captain Kelly.  
10 The panel, as I noted earlier, is very interested in  
11 how hydrographic data is used by local, state and  
12 federal agencies and the Coast Guard is certainly one  
13 of the larger users. We note that your point about  
14 knowing more about the Coast Guard and how it's  
15 organized and what its mission is and so forth is also  
16 very important. At our July meeting we had a  
17 presentation that resulted in a recommendation to  
18 cooperate more fully in the Arctic areas. So we take  
19 that very, very seriously and thank you for your  
20 comments.

21 I also want to note the panel notes your

1 virtual hug and returns the sentiment so thank you very  
2 much. Panel, we're open for questions and discussion.  
3 But before that, just would like to note that panel  
4 member, former panel member -- what do they call  
5 college professors that retire? Emeritus, Panel Member  
6 Emeritus John Oswald is with us. He says he's here to  
7 set everything that Larry has been saying about Alaska  
8 straight later on today. So we look forward to that.  
9 Welcome, John. Sorry, Larry.

10 MR. WHITING: Yeah, may I ask a question?  
11 I'm Larry Whiting. You guys put up a problem that NOAA  
12 and the Corps of Engineers have, that's that they  
13 survey to different standards. The Corps of Engineers  
14 is looking for the bottom; the NOAA is looking for the  
15 top. And, there are a couple of tints in their  
16 rounding that they use that are different.

17 If NOAA had their way they would make this  
18 whole world shallower so that you wouldn't hit anything  
19 and you guys would be losing some of your drafts that  
20 you put in there. So, if you guys, Corps of Engineers  
21 and NOAA could get together on that survey standard of

1 just your rounding, you would be better off. And  
2 that's a Corps of Engineers problem also. You don't  
3 survey to the I'm lecturing you guys. I'm supposed to  
4 be asking questions. You guys need to get your  
5 multibeam out there. You need to fund those things.

6 Now, the easiest way to do that, of course,  
7 is contracting quickly and you should do the  
8 contracting. I don't know if you using contractors  
9 here in the Chesapeake Bay or not. So, and I have one  
10 question for Keith Bailey. RLSs, are your hydrographic  
11 surveys required to be conducted under an RLS, a  
12 registered land surveyor.

13 MR. BAILEY: No, I don't believe so. Right  
14 now I believe ACSM offers a certified hydrographer  
15 program and I believe they work in concert with NOAA  
16 but I can't guarantee that, no.

17 MR. WHITING: Okay. Well, most of the  
18 states are going that way but I was just wondering if  
19 Maryland had.

20 MR. BAILEY: Not yet. We're dealing with  
21 photogrammetry first.

1 MR. WHITING: Okay.

2 MR. SZABADOS: Larry, I'd like to help out  
3 the Army Corps a little bit and give some information  
4 relevant to your question, comment, is that we, NOS,  
5 NGS and CO-OPS have been working with the Army Corps,  
6 and Army Corps is adopting NOAA's standards for  
7 surveying for geodetic and tidal datums and we're  
8 working with them to establish those standards and  
9 training mean guides with the Army Corps and they've  
10 mandated that for their coastal engineering projects.  
11 So it's a matter of implementation right now.

12 DR. JEFFRESS: Hi. This is Gary Jeffress.  
13 And this a question for Steve. I did see in your  
14 presentation that the datum you used for dredging in  
15 Chesapeake Bay is the mean lower low water on the 2001  
16 Epoch, is that correct? Great.

17 MR. GOLDER: '83 to '01, yes, sir.

18 DR. JEFFRESS: Okay. I'm actually at the  
19 moment doing a study for the Corps of Engineers,  
20 looking at vertical datums and elevation accuracies and  
21 I've been to visit about seven different districts and

1 you're the only one that I know of that's using that  
2 datum. Down in the Gulf Coast, particularly in New  
3 Orleans they're using the datum that was established in  
4 1911, called the mean low gulf, and it's about two and  
5 a half feet lower than mean lower level water right  
6 now.

7 MR. GOLDER: Yes, sir.

8 DR. JEFFRESS: Thanks.

9 MR. GOLDER: Yes, sir.

10 ADMIRAL WEST: Dick West. I think Eric or  
11 Frank, you both mentioned that you used paper charts  
12 as, you kind of inferred that they were backups. Why  
13 do you do that; why don't you just get rid of paper  
14 charts?

15 MR. HAMONS: I'm sorry?

16 ADMIRAL WEST: Why do you keep paper  
17 charts?

18 MR. FRANK: Why do we use them? We use  
19 electronic charts also. We actually, when you're doing  
20 most of, I just, use an example up here, that we have  
21 some paper charts. We use them for displays and we use

1    them for demonstrations, and that sort of thing, but  
2    when we're doing calculations, that sort of thing, we  
3    do it all electronically.

4                    CAPTAIN NIELSON:  We find that the paper  
5    charts, particularly the one we have for Baltimore  
6    Harbor, we can see the whole harbor and get it in your  
7    mind's eye how everything is related to each other,  
8    rather than the screen shots that you see  
9    electronically.  Now, I guess that can be changed if  
10   you had a three foot by three foot monitor.  It's a  
11   little impractical for our uses.  And similarly, a lot  
12   of pilots still carry paper charts up and down the bay  
13   with them because the electronics fail and the paper  
14   charts never fail.

15                   ADMIRAL WEST:  They go over the side.  No,  
16   it's kind of an interesting thing because it's one of  
17   the things tried to do in the Navy was to go pure, you  
18   know, electronic charts.  There's always the stigma of,  
19   oh, I got to have a backup.  But what it does is hugely  
20   efficient, gets rid of a lot of folks in the system  
21   that must maintain paper charts.

1                   And, so, that's kind of why the Navy pushed  
2 it. But it's sort of like why people like to read the  
3 paper instead of, what, reading the paper on a, you  
4 know, computer screen, it's just you like to see the --  
5 but it's going away. I mean, papers are folding up  
6 right and left right now so we're eventually going to  
7 go to that. It's interesting that I was on a group in  
8 the Pentagon in the early nineties that said we're  
9 going to make the Pentagon paperless by the year 2000.  
10 I'll leave it at that.

11                   MR. SKINNER: Jon?

12                   MR. DASSLER: Yeah, you know, Frank, you  
13 pointed out the issues with getting surveys that the  
14 port does and get that onto nautical charts. And I was  
15 curious a little bit about specifications you have on  
16 surveys and if that's done by hydrographers, certified  
17 hydrographers or some of the issues there. I notice  
18 that Captain Nielsen also pointed out that there was a  
19 lot of obstructions found.

20                   You know, granted some of the data is a  
21 hundred years old but with modern technologies a lot of

1 obstructions are being found. So some of those are  
2 being located by contract surveyors with NOAA, so some  
3 of those same contractors are doing surveys for port  
4 authorities and for the Corps of Engineers. But I was  
5 just curious about that. And would it be helpful if  
6 NOAA provided specifications and guidelines to port  
7 authorities so they could do surveys of those standards  
8 to get onto nautical charts?

9                   MR. HAMONS: Yes, I think it would. Very  
10 frequently when ports are responding to something,  
11 we're usually responding because we have some kind of  
12 pressure from one of our customers who are in an  
13 intensely competitive business. So we're always  
14 pushing people to give us an answer as quickly as  
15 possible. And, people get kind of used to that, I  
16 guess, and they're looking at us, saying, okay, it's  
17 the port and they're always in a hurry.

18                   But, at the same time the more we can  
19 coordinate ahead of time and set up that kind of an  
20 arrangement, yes, that would be very helpful to us,  
21 which you suggested, because we use surveyors who do

1 survey for NOAA in various other places and we had good  
2 surveys here.

3                   And, you know, we had surveyed this job  
4 intensely, actually, the whole time it was going on,  
5 and, had all kinds of good data, very detailed, very,  
6 data of the bottom here, and, we had to wait until the  
7 Corps could come in and verify it, basically, which is  
8 what they did. And, you know, and it was, the only  
9 problem was that Corps was busy and we couldn't get  
10 them in.

11                   And, it turned out they did verify the data  
12 that we had and we worked it out but we lost three  
13 months at that point in time and a certain amount of  
14 cargo. There was a certain amount of tonnage that  
15 didn't come across the the docks that could have come  
16 across the docks because the contractor, I mean the  
17 customer would not come in with ships drawing about  
18 three more feet of water until NOAA certified the fact  
19 that the depth was there. That's basically what it  
20 amounted to. So, anything that we could do to cut down  
21 on that kind of delay would be very useful and all of

1 our surveyors, I think, would be happy to cooperate in  
2 any way to make that possible.

3 CAPTAIN NIELSON: Similarly we find  
4 conflicts between a private terminal's contractor who  
5 surveyed and the NOAA survey of the same area. And it  
6 could be a couple feet. And it is a matter of  
7 measuring the bottom versus the top --

8 MR. HAMONS: Yeah.

9 CAPTAIN NIELSON: -- but the terminal wants  
10 to use the bottom and frankly at least in Baltimore we  
11 find that using the bottom works all right for handling  
12 ships with the clears that we need, and, but it is a  
13 frustrating situation to have a NOAA survey show less  
14 water than we're bringing in for the draft of the ship.  
15 Those standards would resolve a lot of that.

16 MR. DASSLER: I think it just really puts  
17 an emphasis on standards. I mean, it probably even  
18 goes back to Roger Parson's effort on the Integrated  
19 Ocean and Coastal Mapping and how some of this data, if  
20 more, if there are standards that are set even for  
21 private terminals for doing surveys and that data can

1 get used to get on the charts. And I guess the next  
2 question is for Steve, is, because I think we have  
3 submitted surveys before, too, when we've done them for  
4 private entities or port authorities that get onto the  
5 charts. So that's not out of the realm, is it, now?

6 CAPTAIN BARNUM: I think the big question  
7 is -- Steve Barnum, Coast Surgery. Certainly with  
8 surveys of the Army Corps of Engineers' channels, since  
9 the Army Corps is the authority of the channel they're  
10 responsible for providing updates to that channel to  
11 NOAA and then we apply it to the nautical chart.

12 That said, we've moved towards the Ocean  
13 and Coastal Mapping, the recent passing of the bill,  
14 Ocean and Coastal Mapping for Integration and making  
15 best use of public resources for surveying. We should  
16 move towards a standard of which we can survey channels  
17 and berths to a common standard and understanding so it  
18 can be universally applied so that we understand the  
19 type of data that we're receiving so that we can then  
20 with good confidence apply it to the chart.

21 DR. JEFFRESS: Gary Jeffress, this is a

1 question for Keith. Keith, I'm a surveyor, too, a long  
2 time ago but licensed and I'm licensed in Texas. And  
3 I'm from Texas even though it doesn't sound like it.  
4 We have a lot of problems in Texas with surveyors  
5 issuing elevation certificates, particularly along the  
6 coast. We have subsidence going on. We have sea level  
7 rise going on and discrepancies between datums that  
8 were reported on these FEMA flight elevation  
9 certificates, the differences between the NGVD29 and 88  
10 and what other, is the other category they have; do you  
11 have that same problem in Maryland?

12 MR. BAILEY: Well, as long as there's a  
13 published standard for the elevation certificate, I  
14 don't see an issue; however, unless benchmarks have  
15 been updated or superseded, you know, there could be a  
16 potential issue. Honestly, that's not a service that I  
17 perform professionally. The elevation certificates,  
18 you find those, I find a lot of those on the Eastern  
19 Shore required although there are some obviously in the  
20 coastal areas. But, as long as the standards are in  
21 place and the benchmarks are there, I don't really see

1 that as being an issue.

2 MR. WELCH: This is Ed Welch. Mr. Hamons,  
3 did I understand you correctly that the Maryland Port  
4 Authorities is a cosponsor or the local sponsor of  
5 Chesapeake Bay ports?

6 MR. HAMONS: Yes, we're the local sponsor.

7 MR. WELCH: How do you, what's the annual  
8 funding for it and how do you derive that funding?

9 MR. HAMONS: Well, all of the Maryland Port  
10 Administration's funding comes from the Transportation  
11 Trust Fund of Maryland. We are part of the Department  
12 of Transportation, Maryland Department of  
13 Transportation. So, all of our funding comes through  
14 there. It's a matter of my being able to justify this  
15 in terms of benefit to the port. And being an inland  
16 port, being a 150 nautical miles from the ocean and  
17 having 70 miles of dredged channel between us and the  
18 Atlantic Ocean, if you're going up and down the bay, we  
19 needed a system to enable us, and knowing that you've  
20 got virtually freshwater, you've got brackish water up  
21 here.

1                   So you have a different density and then  
2 the seawater down at the mouth, depending on which way  
3 you're going, you know, and when you're sailing within  
4 two, two and a half feet of the bottom, if you're going  
5 to be able to a maximize your efficiency in a system  
6 like that with that kind of a range of possibility, you  
7 needed some system, some way to be able to get  
8 real-time data, when you were sitting at one end or the  
9 other, it didn't matter, real-time data throughout the  
10 system and to make projections as to what it was going  
11 to be like when you got there. And ports, it was just  
12 perfect.

13                   I mean, we sat down and talked to NOAA  
14 about this and we actually had some shipping companies,  
15 shipping lines, asking us about it because it actually  
16 is a sales point for us, to be able to say that using  
17 the port system, you can travel safely, maximizing the  
18 channel, you know, getting, if you look out there and  
19 you know it's hard to imagine when you look and see a  
20 ship sailing up the bay, that it's this close to the  
21 bottom but when you send a dredged channel, and all,

1 those 70 miles, some of them are that close to the  
2 bottom, during that 70 miles.

3           Being able, well, number one, we have to  
4 maintain the channel scrupulously. Number two, given  
5 the different conditions that can cause ship roll, and  
6 a degree of ship roll makes a hell a lot of difference  
7 if it's a wide ship, and how close it's going to come  
8 to the bottom. It became a matter of really to keep us  
9 competitive with ports especially along the, that are  
10 closer, much closer to the ocean, that don't have this  
11 range of conditions to deal with. It didn't take me  
12 too long to convince our executive director we needed  
13 to have this so that we could get out there and offer  
14 and tell people, hey, we can get you in and out of here  
15 safely at maximum load. It was, you know, what can I  
16 say? The system, it's a good system. It works.

17           MR. WELCH: Then I take it from that, that  
18 the Maryland Ports Administration makes an annual  
19 request to the trust fund?

20           MR. HAMONS: Yes. Yes, we have an annual  
21 allocation that we paid for installation of it and we

1 paid whatever NOAA asks us for as far as annual O&M.

2 MR. WELCH: And do you have any rough idea  
3 as to how much that is?

4 MR. HAMONS: Well, that can range anywhere  
5 from, the last year or so we haven't had to pay that  
6 but it can range up to 250, 300,000 a year.

7 MR. SKINNER: Mike?

8 MR. SZABADOS: Last year it was funded as  
9 an earmark. This year -- as I'll get into my later  
10 presentation this afternoon -- there's federal funding  
11 this year, one time for funding also. And Maryland is  
12 included in that funding. The current O&M for Maryland  
13 ports is \$375,000.

14 MR. WELCH: 375,000?

15 MR. SZABADOS: That's the current cost of  
16 the operations.

17 MR. WELCH: Mr. Hamons, on some of our  
18 other presentations at other locations some of the  
19 users or the sponsors have indicated enhancements to  
20 their local port systems that they would like to see.  
21 Are there things of that nature here that you would be

1 interested in?

2 MR. HAMONS: There are some. We would, I  
3 think in this case we would defer to the pilots.  
4 They're the users, you know, and so we usually go, we,  
5 in fact, a lot of the services that come from  
6 individual stations, individual buoys up and down the  
7 bay and that sort of thing, we sat down when it was  
8 installed and worked with the pilots as to what they  
9 felt they would need most in those particular areas.  
10 One of the things I think that I'm not sure we still  
11 have up and running in a couple of areas down there,  
12 the Bay Ridge, some of this visibility. And that's  
13 been, that's given us a bit of a problem that's  
14 important. Eric, if you -- so that's something that  
15 I'm not sure what the problem is, whether they had,  
16 with that particular service, but we didn't have it  
17 working well.

18 MR. WELCH: That's come up in other  
19 locations as well?

20 MR. HAMONS: Yes.

21 MR. WELCH: Mr. Golder, could you explain a

1 little bit for me, the locations that your survey  
2 vessels do compared to the locations that the Bay  
3 Hydrographer II do, is there an overlap into the type  
4 of channels and locations that they're doing surveys on  
5 or is there a clear delineation of work?

6 MR. GOLDER: Well, most of the time when a  
7 bay hydrographer come up into the bay, they do some of  
8 the terminal areas. They don't go into the main  
9 channel. As far as the tributaries, I haven't seen  
10 them down in the tributaries.

11 MR. WELCH: So it's your impression that we  
12 aren't sending two different agencies surveying the  
13 same places?

14 MR. GOLDER: No, sir.

15 MR. WELCH: Okay. Thank you. And,  
16 finally, Mr. FitsGibbon, I really appreciated your  
17 comments about how this has implications for the  
18 private sector. Just one comment. It's my impression  
19 that up on Capitol Hill, people who go up to Capitol  
20 Hill and talk about these NOAA programs and services  
21 tend to be the NOAA people that are doing the services

1 and they have all these nice documents about, you know,  
2 all their economic impacts and how they're serving  
3 different private sectors and sometimes Capitol Hill  
4 hears from ports authorities but they very, very seldom  
5 hear the type of presentation that you gave us. And, I  
6 would encourage you and your equivalents to detail  
7 exactly what you said to us in a one-page letter and  
8 send it to your Senators and your Congressmen here  
9 because they don't hear that type of thing and those  
10 types of letters make a tremendous difference. Thank  
11 you.

12 MR. FITZGIBBON: Thank you very much.

13 MR. WELCH: Thanks, Tom.

14 ADMIRAL WEST: For anybody on the panel,  
15 but maybe Frank from Port Planning and maybe David on  
16 how he plans his restoration, what do you use for sea  
17 level rise for the future and if you do, what source  
18 and what figure do you use?

19 MR. HAMONS: Up to this point we have not  
20 really been calculating sea level rise and what we've  
21 usually done when we're building one of our structures

1 is use, we go for the worst storm of record and  
2 basically build to that and that gives us such a buffer  
3 that most of the time sea level rise at the rate at  
4 which it's happening falls within, you know, the range  
5 of buffer that we would have there.

6           Now, it gets to be important when you're  
7 building wetlands and at this point in time that's a  
8 problem that we're dealing with. And I will tell you  
9 why, because we have criteria, when we are putting,  
10 such as in Poplar Island, we have criteria that say  
11 they want 80 percent low marsh and 20 percent high  
12 marsh. And the difference between low marsh and high  
13 marsh is a matter of a couple of millimeters. It isn't  
14 much. It's very, it's very close.

15           So the point becomes and one of the reasons  
16 why we're kind of struggling with this is, what do you  
17 want first? Because, as the sea level changes, you're  
18 going to, this condition is going to change because  
19 there is such a small tolerance. Basically, I think  
20 what we're doing in those endeavors is building for  
21 what we are likely to have over the next ten to twenty

1 years with the understanding that we may have to come  
2 back to modify it at some later date.

3 ADMIRAL WEST: But you don't have the  
4 specific figure?

5 MR. HAMONS: We do not at this point, no.

6 MR. NEMERSON: Yeah, I mean, I get asked  
7 that question a lot. And we don't have a specific  
8 figure, you know, to use, really. The number that  
9 people throw around the Chesapeake Bay is three and a  
10 half millimeters per year, but, as I, you know, made in  
11 my comments, to us relative sea level is, you know, is  
12 much more important than any kind of, you know, global  
13 absolute sea level rise. So we're very concerned on,  
14 you know, about subsidence on the Eastern Shore and  
15 what, and the change in land elevation versus tide  
16 height. But those numbers, you know, they're just,  
17 they're not really, you know, available yet in  
18 real-time.

19 ADMIRAL WEST: I think there's a huge  
20 problem here because of the insurance companies and the  
21 insurance business of insuring it. I'm involved with

1 another state's port planning and when you get down to  
2 a couple of feet there's a lot of emotion about whether  
3 that's available or not available, will it be or will  
4 it go away, et cetera, et cetera.

5 I think -- and this is probably a  
6 discussion we should have when Jack's here's  
7 tomorrow -- I think NOAA -- there were five ocean bills  
8 passed a couple weeks ago that Ashley sent to all of  
9 us, and I don't know if it's in there or it's in the  
10 Stimulus language that NOAA will be the federal agency  
11 to determine sea level rise for the future, I think.  
12 Does that ring a bell to anybody? I guess not. Maybe  
13 I was dreaming. But I think, I think NOAA is going to  
14 be challenged because they've been told to put together  
15 a climate service, et cetera, et cetera.

16 MR. SZABADOS: I believe that is, NOAA's  
17 planning that but I would like to answer one question  
18 regarding sea level in Baltimore. It's 3.08  
19 millimeters per year.

20 ADMIRAL WEST: Well, you can argue with  
21 that.

1                   MR. SZABADOS: Past hundred years, relative  
2 sea level.

3                   ADMIRAL WEST: But, you know, there's one  
4 state using five feet. I've heard another state using  
5 one to three meters. I mean, it's all over the map and  
6 if you want to go and get these insurance companies and  
7 reinsurers to do something with your port, they're  
8 going to want to know what that is before they mess  
9 with it. And I do think that's been tasked to NOAA now  
10 and we may want to -- and the only reason why I bring  
11 it up with you folks here, it's obviously going to  
12 affect all the U.S., so, and that's a huge challenge  
13 for NOAA and I think it's part of this climate service  
14 thing that you have been tasked to do.

15                   MR. McGOVERN: Thank you. Andrew McGovern.  
16 I have a quick if a quick question for Mr. Bailey. You  
17 mentioned a lot of services that you and your members  
18 can use from NOAA which will save you about 11 hours  
19 and 45 minutes of a 12 hour job. Do you know of anyone  
20 as we just were talking about the port system, is there  
21 any need for local sponsors, any payments, or is this

1 all provided; does the Society of Surveyors have to pay  
2 for any of these services or any, that you know of?

3 MR. BAILEY: The real-time kinematic  
4 networks or virtual reference systems that I referred  
5 to are put together by vendors, vendors, say Trimble,  
6 GPS products like TopCon, and yes, that's a  
7 subscription service that we all have to pay for.

8 MR. McGOVERN: I was just talking about any  
9 of the NOAA services. You talked about OPUS and CORS  
10 and the different Websites; is there any of that, that  
11 you have to pay for?

12 MR. BAILEY: No.

13 MR. McGOVERN: Okay.

14 MR. BAILEY: Yea.

15 MR. McGOVERN: Well, yeah. Unfortunately  
16 on the marine side we do have to pay.

17 MR. DASSLER: Again Jon Dassler. I guess  
18 just touching on the shorter term but a continuation of  
19 what Admiral West was talking about, but on a shorter  
20 duration I think a number of you touched on the need  
21 for nowcasts and forecasts and I just want to make sure

1 that we understand that. But I thought I heard a  
2 common theme from David and Stuart and even Captain  
3 Kelly on the need for better nowcasts and forecasts and  
4 trends in tidal data so as the wind changes the tide in  
5 the sea, you get astronomical predictions but what you  
6 would like to see is like more of a short-term  
7 three-day forecast.

8                   For example, the Northwest River Forecast  
9 Center on the Columbia River, they'll view a short  
10 three-day forecast based on flows that are coming down  
11 and rainfall runoff, so there will be a three-day  
12 forecast and then beyond that they will do another  
13 five-day trend. So those get updated with each tidal  
14 update so you're seeing those trends. And if I  
15 understand that correctly, that's what you're asking  
16 for in terms of water level data in the Chesapeake.

17                   MR. FITZGIBBON: Well, speaking for Domino,  
18 that would be wonderful but we would also like to be  
19 able to select time intervals. It might be a 24-hour  
20 period. It could be that we're expecting, for example,  
21 a wind event and we're not sure exactly what time the

1 winds will hit the Inner Harbor of Baltimore. So, it  
2 makes a difference between, you know, fifty to a  
3 hundred thousand dollars of expenditures on whether to  
4 operate or not and it would be tough to look at a  
5 five-day forecast and get it down to a discrimination  
6 of ten hours. So, it would be nice to be  
7 user-selectable. I would like to see from this time to  
8 that time this is what we're expecting to happen.

9 MR. DASSLER: Okay. I guess the systems I  
10 was talking about, they give you that continuous graph  
11 so you get that high frequency as you would with a  
12 normal tide but it extends out, say, three days and  
13 five days because it's hard to go much farther than  
14 that and have any kind of accuracy.

15 MR. FITZGIBBON: For Domino five days is a  
16 long period of time when we're operating hour-to-hour  
17 so I would like to be able to select anything three  
18 days or lower.

19 MR. SZABADOS: I would like to give an  
20 update about the modeling. Again, I'd like to also  
21 recognize this is a collaborative effort between Coast

1 Survey and CO-OPS. We currently operate a forecast  
2 model in Chesapeake Bay. It was the first model we  
3 implemented several years ago. Based on input by the  
4 pilots -- and I would like to acknowledge Captain Joe  
5 Smith, who has been very vocal about the performance --  
6 and the performance above the Bay Bridge is not where  
7 we would like it.

8 I'm pleased to announce that this year  
9 we'll be implementing a new model in the Chesapeake  
10 Bay. It's a higher-density model, grid model. It is a  
11 3-D model. Its performance will improve the forecasts  
12 up in the Upper Bay for the water levels. It also will  
13 be implementing currents, salinity and temperature and  
14 will be run four times a day. And the reason for that  
15 is because of the wind fields we get, are from the  
16 weather service and the weather service runs their  
17 models four times a day and so we take the grid from  
18 the weather service to drive our models. So that's the  
19 limitation on it.

20 Also, the forecasting will be only up until  
21 twelve hours into the future because that's, we fell

1 it's reliable operationally for making decisions.  
2 Also, Frank, on visibility, I would like to give little  
3 update -- since I don't know if you'll be here in  
4 afternoon -- is that we have a selected visibility  
5 sensor. The challenge that was given was something  
6 that would operate in a marine environment, reliable,  
7 and it's taken us several years of testing. We've been  
8 testing with the Coast Guard, FAA and Army Corps and we  
9 have successfully selected a sensor and doing  
10 implementation, integration this year. It will  
11 probably be available for implementation in the  
12 Chesapeake in, next year.

13 MR. DASSLER: Mike, did you say that's  
14 going to incorporate wind models into water level?

15 MR. SZABADOS: Yes. Yes. Yes, what we do  
16 is we take the wind fields from the National Weather  
17 Service, their regional models and global models and we  
18 take those appropriate winds and that's one of the  
19 driving forces for forecast, so we can get the impacts  
20 of changing winds which we'll incorporate. Again, they  
21 have a, they run it -- I'm not sure how far up into the

1 future but we'll input that into the model.

2 MR. SKINNER: David, did you have a  
3 comment?

4 MR. NEMERSON: Well, that really answered a  
5 lot of what, you know, that was pretty much exactly  
6 what I was asking for so that's great. And I guess my  
7 only question was, so there will be nothing more than a  
8 12-hour into the future forecast available?

9 MR. SZABADOS: That's the plan right now,  
10 yes.

11 MR. NEMERSON: So the old forecast site  
12 that's up now will be taken down? Because that goes  
13 out, what does that go out, two or three days now?

14 MR. SZABADOS: I'll have to, to be honest  
15 with you, I'll have to take a look that but the  
16 forecast I recall is up into the next 12 hours into the  
17 future is the most reliable.

18 MR. NEMERSON: Uh-huh. Okay.

19 DR. JEFFRESS: Yeah, we also down on campus  
20 we run the Texas Coastal Ocean Observation Network,  
21 which is about 30-odd tide gauges including six from

1 the National Election-Service. We've been doing some  
2 work on predictions because since we have the same  
3 problem, actually a worse problem in Texas because of  
4 the wind-driven effects of water level, and we have  
5 been using what's called Artificial Neural Networks  
6 Technology, where you can train using a long-term  
7 dataset, which we have.

8                   And we now have up on the Web forecasts of  
9 water level going out 24 hours; 12 hours, we're up  
10 above 90 percent actual water level observations with  
11 our predictions. As you go beyond 12 hours it starts  
12 to break down. And one of the biggest factors is  
13 predicted wind speed from the weather forecast is a  
14 huge factor in being able to predict out at least 12  
15 hours.

16                   CAPTAIN BARNUM: I would like to add on to  
17 what Gary said. Yes, the accuracy of the models really  
18 does depend on the forecast from the National Weather  
19 Service, so it's a big force and function in predicting  
20 beyond 12 hours in the accuracy of that forecast model.  
21 But I also wanted to add, Admiral West, you piqued my



1 a question for Captain Kelly. We have had a lot of  
2 discussion in past meetings on the APOS-2 (phonetic)  
3 oil spill in the Delaware River which was the result of  
4 a humongous object undetected ripping open the hull of  
5 a ship. And I'm wondering as far as Chesapeake Bay or  
6 Baltimore, in this region, do you see many accidents or  
7 groundings that you would say are the result of  
8 unmarked objects on charts or outdated information or  
9 lack of chart updates?

10 CAPTAIN KELLY: The most recent that we  
11 have encountered actually was over on the Potomac River  
12 and involved one of our Coast Guard utility boats  
13 operating in the vicinity of where an old bridge wen  
14 across the Potomac River and everybody swore that all  
15 the old bridge pilings were gone. Well, we found one  
16 in low water. And, but other than that, fortunately,  
17 no, no, nothing major. Captain Nielson could probably  
18 provide any other historical data that goes beyond  
19 three years that I've been here. And by the way, if  
20 you're looking for that piece of metal, it's sitting  
21 over at the Coast Guard yard right now. It is a big

1 piece of metal.

2 MR. SKINNER: Eric?

3 CAPTAIN NIELSEN: No, thank goodness, we  
4 haven't found uncharted obstructions before we were  
5 made aware of them. The only area that is a question  
6 is like the slide I showed where new projects are  
7 underway where we know that construction or demolition  
8 has happened and then we ask the Bay Hydrographer to  
9 get in there and take a look. So I think the bay has  
10 been virtually or it's almost completely resurveyed. I  
11 think those hundred-year-old surveys are about finished  
12 and I don't expect we'll have any more surprises,  
13 hopefully.

14 MR. SKINNER: David, I had a question on  
15 the Baltimore Aquarium and its use of hydrographic  
16 data. Your presentation focused on the restoration  
17 efforts. Do you use hydrographic data for other types  
18 of projects like acoustic buoys or seafloor mapping,  
19 anything like that in your work?

20 MR. NEMERSON: Certainly not in my work and  
21 not that I'm aware of. I guess the other aspect, which

1 is, would be more on the operations side, would be just  
2 our physical plant located on the Inner Harbor of  
3 Baltimore. I mean, we struggled with Isabel, you know,  
4 like everyone else did on the Inner Harbor. We kind  
5 of, you know, sounded the all clear and then, you know,  
6 had the search come up and somewhat surprise us. So,  
7 certainly from the operations side, just storm search  
8 forecasting would be of value to the organization but  
9 not other products outside of the wetland restoration  
10 administration work that I do.

11 MR. SKINNER: I was at a climate change  
12 workshop that was sponsored by the New England Aquarium  
13 and all eight presenters showed a slide of the New  
14 England Aquarium four feet underwater, which caused the  
15 head of the Aquarium, Bud Riss (phonetic), who was  
16 there, to say that he was going to screen all  
17 PowerPoint presentations before he did this again. He  
18 said this is bad for business. Jon -- we're going to  
19 try and wrap up in the next five or ten minutes, so,  
20 Jon -- not, that's no reflection on you, Jon.

21 MR. DASSLER: Yeah, well, I would just

1 comment on what Steve mentioned before about once you  
2 get beyond 12 hours it's hard to get any kind of  
3 accuracy. So the Weather Service, the way they're  
4 doing that on the Columbia is they'll qualify that. So  
5 you could do a shorter term, what you would call a  
6 forecast, and then longer term, they would just  
7 classify that as a trend and qualify it, that that  
8 could change.

9                   But since this is the last one and this is  
10 a subject near and dear to me, Mr. Golder, I know you  
11 mentioned RTK tides, and is that something that the  
12 Corps of Engineers that you're doing in that district  
13 now, you're implementing and you plan on implementing  
14 and how do you see that impacting your accuracies and  
15 efficiencies.

16                   MR. GOLDER: Well, we plan on using it in  
17 the future. Right now, Philadelphia has a GPS grid up  
18 and it's basically located in our area. Plus we have  
19 Keystone that has a grid up in our area. So we're  
20 planning on subscribing probably to Keystone because I  
21 believe we'll be able to get more support. And it will

1 help us basically with having a manual tide reader.  
2 You know, we will set up the zoning down in Chesapeake  
3 Bay and then use the RTK on the boat to compute the  
4 tides up. And, basically it will cut out having the  
5 main tide reader and when one man is out, you know,  
6 have to keep the boat parked, basically.

7 MR. DASSLER: But you'll see that as an  
8 increase in accuracies because you'll get measurements  
9 right at the boat as opposed to at the gauge?

10 MR. GOLDER: Yes, sir. Yes, sir. We'll  
11 basically have three ways of doing it. We'll have a  
12 manual tide rate, an automatic tide gauge and the  
13 RTK and we'll compare them, yes, sir.

14 MR. SKINNER: I didn't mean to squash  
15 discussion. We still do have some time so if there are  
16 any questions, anything else?

17 MR. FITZGIBBON: I have one comment, two  
18 comments. First of all, from a business perspective,  
19 hydrographic data, business decisions are often based  
20 on your ability to import or export. It might have to  
21 do with your maritime facility. So, a case study would

1 be a business that Domino Sugar got into, which is the  
2 production of molasses, Grandma's molasses is something  
3 that you see in the food store, and that depended on  
4 our ability to bring alongside vessels with molasses at  
5 a point on our pier which is not our normal raw sugar  
6 discharge operations.

7           So that involved bringing a hydrographer  
8 and we had to do some dredging. And the timeline for  
9 that is, you know, we had to know the dollar amount of  
10 the dredging to be able to propose the project within  
11 two months. So that's the type of business decision  
12 that we've made. It allows us to continue to be  
13 competitive.

14           The second point I would like to make is on  
15 accuracy, the degree of accuracy that's needed is  
16 dependent on the user's decision-making. And, the  
17 story I'll give you is the Isabel story, where I was on  
18 the phone with supervision at the plant about the storm  
19 surge, which we were surprised at, and we were having  
20 discussion of when it gets to one foot down from the  
21 top of our dock you need to call me because at that

1 point in time we have to shut the plant down. As it  
2 happened one foot went to zero feet to three feet above  
3 the dock in the space of about an hour. But, we aren't  
4 interested in six inches, three inches; we're talking  
5 feet. So, their accuracy issue would depend on the  
6 user's needs.

7 MR. SKINNER: Thank you. Any other  
8 comments? Well, panelists, it was a series of really  
9 very informative presentations. We very much  
10 appreciate your being here and thank you for helping us  
11 with our recommendations.

12 (Applause)

13 MR. SKINNER: I think we're up for a break.  
14 So, if we could take a break and be back here at 11:15,  
15 that would be great. Thanks.

16 (There was a break in the proceedings.)

17 MR. SKINNER: First of all, while people  
18 are getting settled, I want to just make note of the  
19 fact that the panel members have been very busy since  
20 our last meeting and I think all of us appreciate  
21 people responding, letting people know when they see

1 something online or a news bulletin or get intelligence  
2 from some of the committees or Capitol Hill responding  
3 to some of the things that NOAA staff has been sending  
4 around and just generally being very active.

5 I know it takes a lot of time to go through  
6 a lot of the documents but I think having everyone's  
7 collective input on, in between the meetings is just as  
8 important as what we do at the meetings. So, again I  
9 appreciate people being very active in the off-season,  
10 so to speak, and, I think it makes the meetings a lot  
11 more productive so thank you. Steve, you're up next  
12 with the budget update and I think you have some good  
13 news.

14 CAPTAIN BARNUM: I hope it's good news.  
15 Normally Jack gives the budget update but unfortunately  
16 he was not able to be here today but I will give the  
17 update. I have a couple slides here before I get into  
18 the budget. Just some updates on Coast Survey, things  
19 that are happening in Coast Survey. Next slide,  
20 please. Certainly the big event tomorrow, with the  
21 acceptance of the Bay Hydro 2. It's a new vessel that

1 will replace the Bay Hydrographer, that is a research  
2 platform and certainly also a hydrographic platform of  
3 the Chesapeake Bay area, provides a new level of  
4 capability for both research and hydrographic survey  
5 for the Chesapeake Bay.

6           The Ferdinand Hassler, which is a Swath  
7 boat -- we have been briefed on that in the past -- ran  
8 into some difficulties or discussions with the  
9 shipyard. It is underway again and we have been told  
10 that it will be launched early next year. So, looking  
11 forward to seeing the Ferdinand Hassler delivered  
12 certainly to replace the capability that we lost with  
13 the decommissioning of the NOAA ship Rudy. So it will  
14 e a resource for the East Coast to certainly augment  
15 our contractor, our partners that also provide services  
16 to NOAA.

17           Had a very successful 2009 field procedures  
18 workshops in hydrographic field training. The  
19 attendees from National Marine Sanctuary, Nancy Foster,  
20 a nontraditional collector of data. They do coral reef  
21 surveys and habitat surveys of ocean exploration, NAVO,

1 Army Corps, UNH, shows some diversity of folks that are  
2 attending these workshops and training, seminars and  
3 how useful this information is, much more beyond  
4 navigation and the realization that collecting into a  
5 quality and a standard is important for the  
6 science-based decisions.

7                   Interestingly, we had working in the  
8 international forefront we are, with my -- hat on,  
9 national hydrographic, we work with other nations in  
10 world to try and build capacity through the IHO and  
11 Katie Ries, my deputy, was instrumental in getting  
12 funding from the World Bank for equipment for release  
13 from Honduras and for the Gulf of Honduras initiative  
14 that's for them to be able to build a level of capacity  
15 to collect data to update their nautical charts.

16                   The area is of a great interest from the  
17 habitat preservation point of view because it is the  
18 second largest barrier reef in the world and to protect  
19 that they need certainly accurate charts so the ships  
20 know where to go and not go and also to be able to  
21 portray this accurately on the chart. Next slide

1 please.

2                   Exxon Valdez -- I don't know want to say  
3 anniversary or commemoration of the event -- was on the  
4 Hill about three weeks ago, and there was, I went there  
5 and Ed Welch was also there and some others, and, it  
6 was several congressional members came and spoke about  
7 the tragedy of the Exxon Valdez and thank God we have  
8 double hull tankers.

9                   Certainly, one of the things that in NOAA  
10 we talk about, certainly with the advent of electronic  
11 navigational charts potentially that disaster could  
12 have been avoided had she had ENC's aboard, meaning that  
13 the skipper or the watch could be alerted to that  
14 danger when it was approaching, they could have  
15 provided corrective action as opposed to running into a  
16 live reef.

17                   It was, interest was heightened because the  
18 Skatilla Mirfak Star ran aground or hit the INSO 74 in  
19 the lightering area off Galveston Bay I think a week  
20 are so before the Exxon Valdez and again people were  
21 praising the thoughtfulness or the foresight of double

1 hull tankers, which are a good thing; however, on that  
2 day of the event we had an urgent request from the U.S.  
3 Coast Guard to go and survey the lightering area  
4 because they had a single hull tanker come in next  
5 week.

6                   And the story on that is that we received a  
7 request from the United States Coast Guard on late  
8 Thursday afternoon, started working on it Friday  
9 morning actively and by Friday afternoon that day we  
10 had had a million dollar contract awarded to one of our  
11 contract partners to go out and survey the lightering  
12 before the Mirfax Star arrived.

13                   And so it is an example that money can be  
14 passed in a short order so we did it in a record eight  
15 hours. It took a lot of strength but I think it's an  
16 example of responsiveness to our constituents and also  
17 to the realization that double hull tankers are not  
18 always the answer, that good quality surveys and  
19 accurate nautical charts are still clearly important.

20                   The next item we have is the formal  
21 acceptance of the Nautical Chart System 2. We talked

1 about this in the past. It's basically our chart  
2 system in the future. It's our one production system  
3 for producing paper charts, electronic navigational  
4 charts, Raster charts, and it's been five years in  
5 development. We're now entering our transition phase  
6 to production. It was a major milestone when we  
7 accepted the initial operating capability of the  
8 system.

9                   John Lowell is here with us today, chief of  
10 the marine chart division and we see this as our future  
11 of chart production. It's going to impact us in many  
12 ways because as we transition from our existing  
13 production systems we'll have two production systems in  
14 parallel.

15                   So, as we transfer the loading from one  
16 system, the legacy system to the new system it's going  
17 to cause us to basically slow down the number of new  
18 editions that we put out; however, we still are  
19 committed to it putting the critical information out to  
20 the mariner. So, that transition will occur over  
21 several years, two to three years before we get up to

1 full speed over a five-year period. Next slide.

2                   The mapping and budget, this was the first  
3 year we received a President's request. The last few  
4 years we have had continuing resolutions where they  
5 took the previous budgeted and added an X number of  
6 percent and our initiatives never really made it into  
7 our budget. So, in the mapping and charting base in  
8 '08 it was 44 million; 2009, 47 million. ENC's, we  
9 finally got the roughly 2 million dollar increase we  
10 had been asking for, for the past several years.

11                   That's critically important because I think  
12 as we briefed earlier at previous meetings that the IMO  
13 is moving toward to make ENC's mandatory for base  
14 implementation starts at 2012, so not only will high  
15 speed craft have to have active systems or the ENC's,  
16 you know, phased in for all -- vessels. So we are  
17 working feverishly to produce those ENC's and transition  
18 to our new system at the same time so it's a big  
19 challenge for us.

20                   The shoreline mapping, \$2.3 million, 2.4 in  
21 '09, Joint Hydrographic Center roughly unchanged,

1 slight increase. Survey backlog from 26 to \$30 million  
2 restored to previous levels, there was a, some  
3 earmarks, EEZ surveys in Alaska for \$500,000, ordinate  
4 surveys in Hawaii for 500,000, California seafloor  
5 mapping, \$1.5 million and Hudson River mapping,  
6 \$445,000.

7                   These were earmarks that were added to us  
8 for a total of 93 million up from 84 million. We did  
9 also receive roughly \$40 million in the 2009 Stimulus.  
10 Next slide. And, before I get to that again I just  
11 note that what was in the '09 President's budget, there  
12 was a million dollars in there for ping-to-chart data  
13 streamlining.

14                   A lot of that is looking at the pipeline of  
15 data that goes from our own vessels and contract  
16 providers through the processing centers all the way to  
17 the production of the nautical products; \$2 million in  
18 there for continuing the V-DATUM effort on a national  
19 scale; \$2 million again for electronic navigational  
20 charts; \$1.8 million for navigation response teams and  
21 \$700,000 for AUV research and development and again, as

1 I mentioned, earmarks for Hudson River, California and  
2 others. Next slide.

3 Under the American -- Recovery and  
4 Reinvention -- I couldn't remember the reinvention part  
5 -- we received \$40 million. The NOAA plan has been  
6 transmitted to the Hill. There was a press  
7 announcement a couple, few days ago for final  
8 approvals. Basically \$40 million to reduce the  
9 critical hydrographic survey backlog by 1730  
10 contractor-acquired square miles. Roughly 75 percent  
11 of that will be for contractor surveys, basically  
12 expanding the polygons that we already have on the  
13 books so taking advantage of the projects we already  
14 had planned. We're shovel-ready. We're just ready and  
15 been waiting so it's just a process of all the details  
16 being ironed out between OMB, the Department and  
17 Congress.

18 The funding will also be used to support a  
19 significant increase in data for these contracts to  
20 include so that we don't acquire much of the data that  
21 sits at the door. We're looking at improving the water

1 level support, automated water level processing such as  
2 occurred from what NGS does with OPUS, shoreline  
3 support for survey areas, NGS, V-DATUM, increasing the  
4 pace of the V-DATUM from around the nation,  
5 hydrographic support for chart updates. These are all  
6 contracts. These are not hiring internal folks. These  
7 are all for existing contracts that we have for support  
8 and to archive and distribute the data, make sure that  
9 the data is readily available to the end users.

10                   And, I don't know, Juliana or Mike, you  
11 wanted to add anything to those? No, okay. Next  
12 slide. Here we have the Geodesy budget. We have again  
13 showing between 2008 and 2009 roughly a million dollar  
14 increase. A height-mod was at \$5 million and in 2009  
15 it took a drop to two and a half but you can see some  
16 other earmarks have been added in so it roughly comes  
17 out in a wash for twenty-eight, eight million dollars.  
18 Next slide.

19                   For National Geodetic Survey, they look to  
20 expand their role in real-time positioning, advancing  
21 IOCM through some pilot projects, some of which we saw

1 today such as the, heard about the Sentinel sites  
2 around the country for understanding sea level rise,  
3 adaptation to coastal management and restoration  
4 projects, new positioning products, OPUS, moving  
5 forward with height modernization and gravity, a  
6 redefinition for the American vertical data draftee.  
7 And outreach and education on the socioeconomic  
8 benefits of NGS products and services. Next slide.

9                   Tides and currents, they got an increase  
10 from 26 million to 31 million, so, total counting  
11 earmarks, 27 and a half to 31-3. The '08 language on  
12 PORTS indicates that they provided a million point-four  
13 above the budget request allowed. NOAA begins  
14 supporting the entire maintenance and operations of the  
15 PORTS, not just a system design; 2009, an active ATBs,  
16 adjustments to base, \$2 million ports expansion and  
17 forecast model funds, a two and a half million dollar  
18 earmark and tides and currents basework ports  
19 operations and maintenance.

20                   And then the '09 appropriation included two  
21 and a half million dollars for better support, existing

1 operation and maintenance support; it's not full  
2 federal funding but to better support the operations of  
3 the systems they have. Next slide. And that is it.  
4 I'm take questions, and Mike and Juliana.

5 MR. DASSLER: Do we have copies of this;  
6 did we get a printout?

7 MS. CHAPPELL: No. We were hoping that the  
8 national -- I'll make copies of this for you. We were  
9 hoping that the Spend Plan would be finalized so we  
10 could change the slides to say that but it wasn't but I  
11 can e-mail out to you provide copies as well.

12 MR. DASSLER: The one thing that would be  
13 helpful -- and we used to get this in the past -- is  
14 how that's like the Stimulus and where are those square  
15 nautical miles and how that's distributed on the  
16 projects, just kind of sort of that breakout of things  
17 I know that was, concerns that have been raised by the  
18 private sector.

19 CAPTAIN BARNUM: Sure, we can provide that.  
20 Like I say, evolved last minute embargoed information  
21 because we don't, but we can provide that information.

1 As I said most of these projects we'll be adding to  
2 existing projects we have, basically expanding the  
3 polygons of projects we already had on the books for  
4 '09.

5 MR. SKINNER: Admiral West and then Gary.

6 ADMIRAL WEST: Steve, is there a law  
7 against single versus double hulled tankers in U.S.  
8 ports; is there a law for that, anybody know?

9 CAPTAIN BARNUM: I don't think there's a  
10 law. I think single hull tankers are grandfathered  
11 till 2015 if memory serves me correct.

12 MR. WELCH: Yeah, the Oil Pollution Act  
13 basically says that to serve the United States you have  
14 to be a double hull tanker but there was a phase-out  
15 schedule for existing single hull tankers, and, in  
16 effect 2015 is the date by which all double hull  
17 tankers will be phased out.

18 It's sort of strange how these schedules  
19 work out. The phase-out schedule had a lot to do with  
20 the economic lifespans of the existing U.S. flag tanker  
21 fleet; in other words, single hull U.S. flag tankers

1 aren't being phased out by the law any faster than  
2 their economic plight was projected to be back in 1980  
3 as opposed to foreign flag tankers where a lot of them  
4 had been displaced out of the U.S. market well before  
5 they expected to be.

6 DR. JEFFRESS: Steve, with this Stimulus  
7 money I have been hearing that there's a lot of  
8 boarding associated with it to make sure there are jobs  
9 generated or jobs saved. Are we looking at jobs  
10 generated for this hydrographic industry and if so  
11 where are we going to get those folks?

12 CAPTAIN BARNUM: I think we've certainly  
13 talked to projects within Coast Survey and certainly in  
14 the hydrographic services I know that many of the  
15 contract providers, these are jobs preserved because  
16 the oil industry is down right now and so business is  
17 down so this helps maintain those companies to maintain  
18 their employees and their operations. Similarly, with,  
19 we look potentially at jobs created through contract  
20 providers for nautical chart updates in our Cardow  
21 contract for processing of the hydrographic surveys.

1 So, Juliana, I don't know, Mike, if you want to talk to  
2 your programs.

3 MS. BLACKWELL: As far as the NGS remote  
4 sensing Stimulus money that was up on the screen, that  
5 is all being let through contracts as well to provide  
6 the work for contractors that are currently onboard but  
7 not necessarily staffed at this time to do the work  
8 that needs to be done, so, all that money will be --

9 MR. SZABADOS: Our funding of expenditures  
10 Stimulus are focusing on contracts, software contracts,  
11 a good portion to develop an interface on the Web where  
12 people can come process their -- like OPUS does for GPS  
13 and to use -- so the data can be more easily ingested  
14 and everybody using the same algorithms.

15 MR. DASSLER: Just to follow-up on Gary's  
16 question, because I've heard the same thing that  
17 there's a pretty detailed reporting requirement out of  
18 the Stimulus funds so I mean is that, that's something,  
19 I mean, even as contractors we can provide. I mean, it  
20 would be not only just job preservation but creation of  
21 jobs and I don't, I haven't seen anything on that yet

1 but I'm assuming that is going to be a requirement for  
2 doing that.

3                   And then just, I guess you mentioned the  
4 field procedures workshop. I know this year they  
5 didn't have contractors get involved and maybe that was  
6 because of all the other involvement, that was just  
7 kind of space limited but I don't know if that's going  
8 to in the future. I mean, it is pretty beneficial to  
9 make sure everybody is kind of on the same page and do  
10 that and if it's possible that would be nice to see  
11 that happening again.

12                   MR. WELCH: Steve, is it fair to say that  
13 80 percent or higher of the total \$40 million is going  
14 to NOAA and then going very quickly out the door to  
15 private contractors in one form or another?

16                   CAPTAIN BARNUM: Yes. I would say as soon  
17 as we receive the funding we expect that within 60 days  
18 it will be out the door. So we have been shovel-ready,  
19 just waiting on the money.

20                   MR. WELCH: Is there a way to quantify the  
21 impact that that \$40 million will have on the mapping

1 and charting backlog? Can it be said that this will  
2 reduce the backlog by X percentage or X amount?

3 MR. ARMSTRONG: I think Steve's slides  
4 showed a number of square nautical miles associated  
5 with this \$40 million, 1700 and something.

6 MR. WELCH: Right. If I'm a policymaker  
7 and I hear us, for NOAA or whoever complain about this  
8 huge backlog, I would like to know, okay, what  
9 percentage of that backlog are you knocking off as a  
10 result of this; can that be articulated now or in the  
11 future?

12 CAPTAIN BARNUM: Well, we can do the math.  
13 It will be a significant percentage. I was asked that  
14 question last week by Senator Landrieu and, you know,  
15 our current map at our current production rates at  
16 roughly 3,000 nautical miles a year for the 500,000 we  
17 want to accomplish is 166 years. So that opened her  
18 eyes. Certainly where our goal wants to be is we would  
19 like to be at 10,000 square nautical miles on a 50-year  
20 cycle, at least. But and the bottom line, your answer,  
21 it will have an effect to speed up our acquisition of

1 backlog data but it's not a great impact.

2                   MR. WELCH: And Steve, have you now or is  
3 there another opportunity later in the two days for  
4 somebody to discuss the impact of Stimulus on other  
5 NOAA programs that this panel has shown some interest  
6 in, in the past, for example, vessels equipment or that  
7 type of thing?

8                   CAPTAIN BARNUM: We can get that  
9 information for you. It would be relatively high  
10 level. I know that certainly for the ships there was  
11 some funding received for -- I didn't have it in my  
12 presentation here -- it's under the Office of Marine  
13 Aircraft Operations but funding for the major repair  
14 period for the north-ship Rainier, that we toured a  
15 couple years ago, also to upgrade our multi-capability  
16 but I can get you a breakdown for the rest of them.

17                   MR. WELCH: Well, I just remember, for  
18 example, there was quite a bit of interest by panel  
19 members in those new hydrographic launches, out there  
20 on the Rainier and I think this Stimulus will produce  
21 some more of those launches.

1                   CAPTAIN BARNUM: That's correct. That was  
2 also part of the package for marine aircraft operations  
3 to fill out the launches.

4                   MR. SKINNER: Elaine?

5                   MS. DICKINSON: Tom, you sent us a press  
6 release on April 7 that listed every single program and  
7 how much money they were getting out of the Recovery  
8 Act. I don't know if that answers Ed's question about  
9 how many programs are getting money.

10                  MR. SKINNER: You want me to send that  
11 around again or --

12                  MS. DICKINSON: Well, I brought a copy of  
13 it just because it was interesting. I have sort of a  
14 slightly different question. When, I mean, it's great  
15 that you're getting this money to address the backlog.  
16 When all this data comes piling in from all the  
17 contractors, do you have the staff to process it all or  
18 is it going to create another backlog when it gets to  
19 headquarters and this stuff actually has to get on the  
20 charts?

21                  CAPTAIN BARNUM: That's one reason that not

1 all the money went out to the hydrocontracts. We  
2 reserved a percentage of that for the processing and  
3 the marine centers to buy contracting capability to  
4 augment our capacity, the same in the production of the  
5 nautical charts, the compilation of data on nautical  
6 products. So again that's, we'll all be in contract so  
7 when the money is expended we're not, you know, we  
8 obviously have the flexibility to get downsized, if you  
9 will.

10 MR. DASSLER: I got one.

11 MR. SKINNER: Actually, Ed and --

12 MR. WELCH: Well, I would like to commend  
13 Steve and Jack and all their folks because the fact  
14 this money showed up in the Stimulus Bill and went to  
15 these programs, it didn't just happen. There was a lot  
16 of internal advocacy, I guess, within the agency is the  
17 polite way of putting it. There were plenty of other  
18 people, plenty of other programs that had their hand  
19 out for the money and people had to put, people had to  
20 first put together substantive proposals and second,  
21 they had to be, they had to have some sharp elbows to

1 advance their substantive proposals.

2                   So, I would like to commend all those that  
3 were involved and go out and going out for the money.  
4 And I also, also like to say that I think the odds are  
5 against it but I think there's a 25 or a 30 percent  
6 chance that in the next 12 months there will be a  
7 Stimulus 2 bill, so, I would encourage the same folks  
8 that were aggressive this time to think in terms of  
9 what could you propose for a Stimulus 2 bill. I mean,  
10 these opportunities don't come around very much and you  
11 need to be ready if they do.

12                   DR. JEFFRESS: Steve, in the past Congress  
13 has been reluctant to increase the size of the federal  
14 government so does this Stimulus Package allow you to  
15 employ more people at NOS?

16                   CAPTAIN BARNUM: These, this in the  
17 Stimulus Package, we did not increase the size of the  
18 federal workforce within our purview at all. This is  
19 all for augmenting our capacity to contract again to  
20 get the money into the economy quickly and to again  
21 give us a helping hand with some of the things that

1 we're trying to do, both from acquisition to data  
2 through water levels, Geodesy and survey. So, we're  
3 not building the federal government through this money.

4 MR. SKINNER: Jon?

5 MR. DASSLER: So I know originally when a  
6 lot of this was going around they were talking 80  
7 million that was going to go towards Stimulus on  
8 addressing the survey backlog so out of this 40  
9 million, is this anticipated to be all spent in '09 or  
10 is this going to roll into ten or is there --

11 CAPTAIN BARNUM: It's two-year money. So.

12 MR. DASSLER: So that 1730, that's going to  
13 be not all of us here?

14 CAPTAIN BARNUM: We have two years to get  
15 it out. Our intent is to again get it out as soon as  
16 possible. Our intent is to get it out in 60 days.

17 ADMIRAL WEST: As a follow-on to what Ed  
18 said about the efficacy, I don't think they would be  
19 ever be able to -- we may ask NOAA to say, what role  
20 did this panel have in helping that Stimulus money get  
21 identified strictly for our, did the Ten Most Wanted

1 help, did our briefing to SAB, going to the Hill,  
2 having these panels, was that a factor in this or not?

3                   CAPTAIN BARNUM: Well, I'll jump in here.  
4 And certainly I think the HSRP report has been a key  
5 document in identifying the requirements and laying it  
6 out clearly to certainly internally at NOAA through the  
7 budget process both in NOAA, the Department and OPM in  
8 addition to the appropriators and the key  
9 decision-makers on the Hill to understand what the  
10 issues are. So I think it's a key document in  
11 communicating that.

12                   MR. DASSLER: There was a fair amount of  
13 lobbying by the private sector in using actually some  
14 of the reports and recommendations from the HSRP that  
15 went out to local representatives.

16                   ADMIRAL WEST: We have a body of folks  
17 coming tomorrow. Maybe that's a good question for them  
18 because if we're Congressionally mandated, Federal  
19 Advisory Committee, if we're not influencing the system  
20 then why do we sit? So, you know, at some point if we  
21 do, are effective in doing good things then it needs to

1 be acknowledged not just amongst us here listening to  
2 ourselves but in the system. I guess that's my point.

3 MR. WELCH: Admiral, I think if we could  
4 pat ourselves on the back a little bit, I think just by  
5 the panel being pretty aggressive and persistent with  
6 our folks at NOAA and with the upper reaches of NOAA,  
7 where our contacts with Jack Dunnigan or Mary Glackin  
8 and just sort of beating on them saying you got to get  
9 on with it, helped inspire them to make sure that they  
10 were ready when this opportunity came along. So,  
11 that's a somewhat indirect way.

12 We weren't necessarily lobbying as a panel  
13 on the Hill but the way I see the Stimulus Bills, the  
14 Hill doesn't write the details. They provide money and  
15 they rely on assurances from the agency policy people  
16 that the projects that are being included in the  
17 proposed spend plans are, meet the broad parameters of  
18 what they wanted to accomplish in this. So, in some  
19 ways the battle wasn't necessarily with the Hill, the  
20 battle was within the Department and NOAA.

21 ADMIRAL WEST: Well, I agree. And I mean I

1 didn't make this to be a pat ourselves on the back  
2 because we are all pretty happy with what we do but  
3 it's a good example of how a federal advisory committee  
4 can help. And I think it's, I have been on several of  
5 them, as you know, and I think this has probably been  
6 the most effective advisory committee that I have been  
7 on just from what I seen and this may be another good  
8 example of how a federal advisory committee operates  
9 and can help embrace a level of that particular mission  
10 within NOAA to the leadership of NOAA and even to some  
11 extent to Congress and to OMB.

12                   Because, it's so hard in NOAA with so many  
13 little bitty, you know, missions all over the place --  
14 and they've got several advisory committees -- that  
15 this has been a good, well, I mean, you know, there's  
16 just sometime internally NOAA should recognize that  
17 this congressionally mandated federal advisory  
18 committee has helped this part of the mission of NOAA,  
19 not necessarily us but the way the system works.

20                   MR. SKINNER: Just one observation on that  
21 is that, if you recall way back the early years of this

1 panel, we spent a lot of time working on getting the  
2 message right. And I think Scott really deserves a lot  
3 of credit for making sure that the report came out and  
4 actually said something and actually was useful.

5                   We could have gone a lot of different  
6 directions and I think at many points in our history we  
7 were set to come up with something that would have  
8 looked very different and I think it's because of his  
9 persistence and a lot of work of the NOAA staff in  
10 helping to put it together address contracting issues  
11 and all those horrendous things that, God, it seems  
12 like a lot longer than a couple years ago but it really  
13 could have done been a very different outcome and I  
14 think would have had a different impact on what we see  
15 today. So I just wanted to recognize in particular  
16 Scott for spending so much time to make sure that we  
17 did the right thing, however painful it was for the  
18 first couple two or three years.

19                   DR. JEFFRESS: Tom, just on that point, the  
20 document has the number 2007 on it now. I'm wondering  
21 if we should not think about an update to this Most

1 Wanted List. And I know a lot of it is not going to  
2 change because nothing's happened but just having the  
3 number updated to like 2009 or 2010, it looks fresher  
4 amongst politicians' eyes.

5 MR. SKINNER: I think we may talk a little  
6 bit more about that for the strategic plan. I think  
7 that's probably a good idea. And, we may want to do  
8 more than just, just some of the numbers. We've heard  
9 a lot of, really, I think, very compelling arguments in  
10 some of the testimony or some of the panel  
11 presentations, and it would be I think advantageous to  
12 include those in an updated report. I think that's a  
13 good idea. Admiral?

14 ADMIRAL WEST: Just as a quick follow-on to  
15 the panel, having sat on three or four other panels of  
16 NOAA, the success we have had with this one I think is  
17 also because of involvement of NOAA. Steve, Jack,  
18 everybody's that's been part of this has been  
19 acceptable to what we said. I've been on some where  
20 they look at the federal advisory committee as the  
21 enemy. So, I guess a good lesson is learned from NOAA

1 as to how this would work regardless of the mission.  
2 Somehow we've got to document this and get this stuff  
3 to Jane or to the new Commerce or whatever.

4 MR. DASSLER: Yeah, it seems to me our next  
5 task is how do we maintain those levels. I think the  
6 '09 Stimulus really provides wheels-up funding to help  
7 get nautical charting up to the levels that it needs to  
8 be. I guess what we don't want is that to just be a  
9 blip in the curve, if we can just keep moving that  
10 forward and I think that's something the panel, whether  
11 it's updating the Most Wanted List or what we can do to  
12 help move that forward to where it's now that we have  
13 gotten some visibility and there's some stimulus put  
14 towards that, how can we keep that in flight?

15 CAPTAIN BARNUM: I think certainly with the  
16 message of the current administration, President Obama  
17 that his emphasis is on infrastructure and  
18 transportation, I think the services we provide are key  
19 to enabling some of those projects. And, so, I think  
20 that, I think the opportunities are good that we may  
21 provide more recognition of these services both in

1 terms of navigation in both what we heard from the  
2 panel today for the importance of this data for  
3 restoration projects and how we may adapt to climate  
4 change, those issues. Just one other point that I  
5 didn't mention in my presentation is that my  
6 understanding is, is that the President's budget will  
7 be released sometime in early May for the FY10.

8 MR. SKINNER: Well, we'll have some chance  
9 I believe tomorrow to talk about the strategic plan and  
10 where the panel goes from here. I think that's a  
11 really good discussion to have and some great thoughts  
12 here. Are there any final questions on the budget for  
13 Steve?

14 Why don't we move into our public comment  
15 session. I want to remind any of the public attendees  
16 here to please sign in and if anyone is interested in  
17 making some comments, this is the start of one of  
18 several public comment periods over the next, over  
19 today and over tomorrow so feel free to speak now or  
20 speak at one of the future sessions. Is there anyone  
21 who signed in that's indicated that they want to speak?

1 Would anyone like to make some remarks? Okay. We'll  
2 have to, we need to keep the comment period open for --  
3 okay. Hearing none we will break for lunch and resume  
4 at one o'clock.

5 (There was a luncheon break in the  
6 proceedings.)

7 MR. SKINNER: Thanks very much. This  
8 afternoon we're starting off with some updates. Mike,  
9 I think you're up first.

10 MR. SZABADOS: Before I bring the  
11 presentation up, I'm going to give an overview of our  
12 2009 activities. I have organized my presentation in  
13 response to the Five Most Wanted so I had put it in  
14 those categories. I first have to report on a homework  
15 assignment I had.

16 At the Tampa Bay meeting we talked about  
17 the integration of PORTS and Coast Guard AIS system and  
18 the question was what is the plan for rolling out  
19 operations and I had to get back to you on that. And  
20 discussions with the Coast Guard, we'll give you an  
21 update. The test at Tampa has been successful. There

1 be demonstrated the PORTS has been integrated into the  
2 AIS system. It's one of the environmental binary  
3 formats that they have implemented. There's additional  
4 work. There's other binary formats they're working on  
5 and they'll be doing some work this year in the  
6 Columbia River.

7           In regards to the PORTS system we're ready  
8 to implement, all our PORTS data is available for the  
9 AIS system waiting for the contract to take them.  
10 Coast Guard is planning to start rolling it out  
11 operationally in 2010 and I will have more specifics  
12 when in 2010 over the next several months, so by the  
13 next meeting I will have some more specifics. But  
14 they're going to do some more integration of additional  
15 binary formats for additional information this year,  
16 and then roll out all the new enhancements in 2010. Go  
17 onto the first slide, please.

18           Okay. In addressing the recommendation,  
19 number one, aggressively map the nation's shorelines  
20 and navigationally significant waters, next, okay,  
21 we're expanding our world up to additional five

1 stations this year to 210 stations. And what's the  
2 significance of this in supporting mapping well, in  
3 mapping the shoreline and mapping the waters, relies on  
4 having critical datum reference stations and the 210 go  
5 to our network requirement of about 300 to get the  
6 proper coverage for our reference stations in the  
7 United States.

8                   So we're expanding three in the Gulf of  
9 Mexico and in Alaska, two critical areas -- for our  
10 reference network. These are long-term stations and  
11 this is a permanent station. It takes 19 years to get  
12 a reference point so it's critical that these stations  
13 are sustained. Next slide, please.

14                   The next recommendation, integrate coastal  
15 mapping efforts and ensure federally maintained  
16 channels, approaches and anchorages are surveyed to the  
17 highest standards. Next one, okay, in this effort and  
18 I want to highlight this is a collaborative effort of  
19 all the three offices, not just CO-OPS but all three  
20 offices and we're working with the Army Corps. The  
21 Army Corps has, as I mentioned earlier, has identified

1 and implemented NOS standards for control and so all  
2 the offices are working, to work in the Coast Guard in  
3 training, SOPs, standards, implementation plans.  
4 Further work is being done since the Army Corps  
5 recognizes NTSLF as the authority for sea level in the  
6 United States that we're working on interim guidance,  
7 incorporating sea level change for all U.S. Army Corps  
8 projects, and also helping them look at the  
9 vulnerability of their core projects to sea level rise.  
10 Next slide, please.

11                   There's another activity. Again, I want  
12 to, this is it all three offices are working on, with  
13 the CMTS, agencies to look at what's the necessary  
14 infrastructure to support safety, safe navigation in  
15 the Arctic. I know that's been a hot topic in the  
16 past. We had a discussion in Tampa and it continues to  
17 be an important discussion. And we're working with the  
18 Coast Guard, Army Corps and through the CMTS on that.  
19 Hopefully we will have something which in the  
20 foreseeable future report out on those activities.  
21 Next slide, please.

1                   Modernize heights and implement real-time  
2 water levels and currents, observing systems in all  
3 major commercial ports, recommendation number three.  
4 Next slide. We continue to update our tidal current  
5 predictions. This is critical, you know, for safety  
6 navigation to be able to predict the tidal currents and  
7 we have a lot of data-board areas as well as old  
8 information and we're focusing in '09 in updates in  
9 Florida as shown on the slide as well as Buzzard Bay up  
10 in Massachusetts and in Kodiak in Alaska. And this  
11 year we'll do recon and planning for Long Island Sound,  
12 in 2010, Dutch Harbor, Tacoma Narrows and Johns Pass in  
13 Florida. Next slide, please.

14                   PORTS program, the PORTS program expanded  
15 quite a few new ports. We have two new ports coming  
16 online over the next several months. Actually, Adam  
17 McBride in Lake Charles, I'll be with Adam the first  
18 week in May as we christen his ports. They'll become  
19 online. New Orleans will be coming online later,  
20 anticipating June timeframe for New Orleans. We have a  
21 new port underway being planned by New London,

1 Connecticut. That's with the U.S. Navy and their  
2 driving forces, they want ports for the boomers coming  
3 and going. Next slide.

4           Okay. This is, I know this is it important  
5 one. In our 2009 budget this year, there's \$2.5  
6 million identified above the President's request. I do  
7 want to clarify something. It was not identified as an  
8 earmark. It's above the President's request but not an  
9 earmark. So, what that is, I don't know. But it's 2.5  
10 million dollars, going to PORTS O&M, and we're going to  
11 either fully fund or partially fund up to 15 of the  
12 PORTS systems and -- investing almost close to a  
13 million dollars in infrastructure. One things say for  
14 the contractors but a lot of the spare parts,  
15 recapitalizations over the past few years has been  
16 hurting so we invest some into spare parts and some  
17 into contracts. For those here locally Chesapeake Bay  
18 is once going to be funded. I know New York is going  
19 to be funded, Houston, Dallas is going to be funded.  
20 In fact all the Gulf ports are right now covered by  
21 O&M. Next slide, please.

1                   Integrating new technologies in 2009, this  
2 is something I think I mentioned a little more update  
3 on that, we're looking at microwave water level sensors  
4 as a new technology. We're looking at four systems.  
5 One of the things in this study is that just we're  
6 going into, we're using wave tanks for assessment of  
7 how they perform in wave conditions, actually  
8 environmental-controlled laboratory conditions. We've  
9 been working with EPA actually in environmental control  
10 conditions, so, and one of the things we found out is  
11 that some of these sensors are susceptible to  
12 temperature change, which we did not know.

13                   So some of these tests we're finding some  
14 good things out of that, as well as we're running these  
15 in parallel with our sensors, one in the open ocean,  
16 one in the estuary for one of the Great Lakes. We're  
17 doing a long-term study on that, and very promising,  
18 there's going to be, we will probably start the sensors  
19 from the study as potential enhancement, additional  
20 sensor. This probably will not go in every  
21 application. Obviously we're placing the device, a

1 microwave sensor may not be best sensor for that but  
2 there's probably a lot of adaptations. What's good  
3 about it, it gets us out of the water so survivability  
4 over the network will hopefully improve.

5           The visibility, as I mentioned earlier this  
6 morning, for the panel, we have done some final  
7 testing. This is a test, actually, when I was the --  
8 goes back to the late nineties when we started testing,  
9 unsuccessfully, visibility sensors now. The technology  
10 is not new but one that is reliable in the marine  
11 environment is, and after testing again we did this  
12 with actually with the EPA, Coast Guard, Army Corps,  
13 and FAA.

14           We are selecting the sensor and actually  
15 all the federal agencies are selecting the same sensor.  
16 I won't go into all of the details except that we're  
17 doing integration of the sensor into the PORTS system,  
18 quality control, infrastructure. Our goal is to have  
19 it integrated by the fall and once that is demonstrated  
20 then we will implement it throughout the PORTS system  
21 where there's requirements and there's resources.

1                   Air-gap, we implemented air-gap a few years  
2 ago. What we have done is put an additional sensor and  
3 in the process actually some of the funds from the 2.5  
4 million is going to enhance the air-gap network we  
5 have. It's a laser-based system. It's going to be  
6 right next to our microwave system, and this will, this  
7 is going to be used for quality control. It's a  
8 redundant sensor, different technology but it's going  
9 to give us accuracy, part of our quality control. So  
10 before we used the water level network to see the  
11 comparisons, but a direct measurement is much better  
12 and so we went with this redundant technology, that's  
13 being implemented. Waves is a -- we're working with  
14 the Army Corps.

15                   The Army Corps has a network of wave gauges  
16 and we want to integrate that into PORTS. Well, to do  
17 that we have to have an MLU and the Army Corps as  
18 well as we have to build the infrastructure for taking  
19 quality control in. That is going on now, and I  
20 anticipate that integration to be available in 2010.  
21 But that's very encouraging. I know we have some

1 movies out in, Chesapeake right now, pilot access, not  
2 through PORTS, other means, same thing allied, so we're  
3 looking forward to get that integration, get that  
4 one-stop shopping for information. Next slide, please.

5                   Okay. Recommendation number four,  
6 strengthen NOAA's navigation services for emergency  
7 response and recovery capabilities. Next slide.  
8 What's important for us is in the emergency response is  
9 to make sure the information is there after a major  
10 event like a hurricane, storm surge and our lessons  
11 learned from Katrina and other hurricanes is that we  
12 need to strengthen our water level by elevating --  
13 platforms and this year we'll go ahead with -- one,  
14 two, three, four, five, six, seven, eight -- nine, is  
15 that nine? I think nine of our stations have been  
16 identified for being upgraded to these elevated  
17 platforms.

18                   This is Mobile, the one we did in 2007.  
19 We're also upgrading by providing 30 additional  
20 meteorological packages out of the world network.  
21 Again it's an ocean atmospheric couples system. To

1 understand the tides we need to do know what the winds  
2 are doing, and that information is also critical for  
3 the mariner and actually for the marine forecast. So  
4 that's going on in 2009. Next slide, please.

5                   Okay. Dissemination of hydrographic  
6 services data and products to achieve greatest public  
7 good, recommendation number five. All right. You  
8 heard a little bit about it today how we're trying to  
9 work with the coastal management to benefit from using  
10 this information. Actually this was developed here.  
11 In Chesapeake Bay there's two frequency in duration  
12 product. It's a tool that based on our tool and our  
13 historical data, tide data we know how frequent  
14 statistically at a location be inundated and flooded  
15 and how long.

16                   It's critical when planning what kind of  
17 grass you're going to plant and trying to determine  
18 elevations. We're building this. Right now it's a  
19 tool that we have to operate. We're going to build it  
20 on the Web so people can come into our site, download  
21 our data and actually use this tool interactively on

1 the Web. So that's an enhancement and we have some  
2 training in that. The next slide.

3                   Sea level, I can give a half hour on this  
4 alone. I'll just cut to the chase. NOS is the legal  
5 authority for sea level in the United States. I can  
6 only do the nautical charts and shoreline, those based  
7 on tidal datum which is at sea level. And we have been  
8 monitoring sea level since the beginning. And, to make  
9 sure that our charts are relevant we constantly update,  
10 we periodically update officially for the United States  
11 what sea level is.

12                   When I say sea level I'm going to say  
13 relative sea level which is local mean sea level. It's  
14 not global sea level but it's local mean sea level but  
15 that's where charts are, boundaries, and so we're  
16 responsible for that. So as part of our education and  
17 outreach we developed a Website and we now provide I  
18 think at 120 stations -- we happen to have a long  
19 record for this, the sea level trends at those stations  
20 as well as been working with the IOC and we now also  
21 incorporate international stations.

1                   So, this site is being recognized is an IOC  
2 GLOS station site to determine sea level. But it's  
3 information of trends. There's seasonal variability.  
4 There's five-year trends. Again, I can go for a  
5 lengthy discussion on this. I'm not going to right  
6 now. I would love to talk to anybody afterwards or  
7 during the break about these enhancements. Next slide,  
8 please.

9                   Oh, that's when I shouted out I knew what  
10 sea level in Baltimore was, I had this slide in front  
11 of me so I was ready. Okay. On the modelling effort  
12 again, this is a collaborative effort. Technology,  
13 great work is being done in the development survey, to  
14 help develop these models by implementing an enhanced  
15 Chesapeake Bay model as I indicated and two new ones,  
16 one in Delaware and Tampa Bay.

17                   These are three high resolution models,  
18 outputs, tides, currents, temperatures -- and basically  
19 through higher resolution we anticipate a better and  
20 more accurate model for areas like in the bay here in  
21 the Chesapeake. And that's going to be rolled out this

1 year and again we will be working with local users when  
2 that's available in trying to understand how best use  
3 that product and also how many we can create, take that  
4 information and make it usable for the user. Next  
5 slide, please.

6                   Okay. Outreach, one of the things I know  
7 that this panel and Admiral West, you vocally commented  
8 on is that we need to reach out to users to better  
9 understand that the general public benefits from  
10 navigational services. And, we've been trying to  
11 determine how best to do that and so we packaged a, and  
12 this is a DVD, which we're in the process of marketing,  
13 again highlighting the benefits of the water level  
14 program and this highlights a special program we had,  
15 our Sentinels program, hardened-stations which we  
16 designed in the Gulf.

17                   We have four of them and part of it gets  
18 marketing. It's a DVD. Our goal is to get this  
19 outreach around some marketing material and out by  
20 hurricane season, and to the schools, general public  
21 for better understanding and appreciation for

1 navigational services in multiple applications. I'm  
2 going to play it for you in a minute but this is  
3 another version which is being voiced over by a high  
4 school student for the high school, and a little bit  
5 different twist on it go to the younger generation. So  
6 if you could go ahead and play that.

7 (DVD played)

8 NARRATOR: What is it about the ocean that  
9 attracts so many of us? We like to play in it, get our  
10 food from it, build our houses near it and gaze out at  
11 it. Our economy depends on the goods that come in and  
12 go out to our major PORTS. The ocean makes us feel  
13 good, contributes towards economic growth and we like  
14 to be close to it. It's not surprising that almost  
15 half of our population lives near the coastline.

16 But working and playing along the coast is  
17 not always serene. Powerful coastal storms can raise  
18 the water levels significantly, 20 feet or even more,  
19 causing loss of life, destroying homes, businesses and  
20 property. Hurricanes like Katrina and Ike showed us  
21 firsthand the risks that coastal communities face.

1                   MALE VOICE: It was 32 feet. We went to  
2 the first floor, to the second floor, to the attic.  
3 The water came up to us like here and it was rough, and  
4 we wound up swimming to the tree and luckily it  
5 subsided.

6                   NARRATOR: With ocean waters warming and  
7 sea levels rising it is likely that the U.S. will  
8 encounter future storms equally as harmful and costly  
9 and with so many of people living along the coast the  
10 stakes are getting higher each year.

11                   Storm destruction is rarely limited to lost  
12 lives and property. Instruments collecting water level  
13 and meteorological information must be located in  
14 harm's way so they can deliver data critical for  
15 flooding forecasts and emergency evacuations but all  
16 too often these stations are damaged or destroyed  
17 during the very times we need them. The National  
18 Oceanographic and Atmospheric Administration or NOAA  
19 has responded to this dilemma by strengthening some of  
20 its storm tide stations.

21                   Known as NOAA's Sentinel of the Coast,

1 these platforms are single-pile, four feet in diameter  
2 structures that stand at least 20 feet above the sea  
3 surface and are driven 60 to 100 feet into the sea  
4 floor for stability. For over 200 years NOAA has  
5 monitored the rise and fall of tides using the latest  
6 technology. Beginning with human observers in the  
7 early 19th century, NOAA has harnessed technology to  
8 operate its network of tide stations that automatically  
9 collect accurate and reliable data every six minutes.  
10 Today NOAA maintains more than 200 permanent water  
11 level observing stations.

12                   NOAA's goal is to ensure that the public  
13 has advanced notice based on the most accurate and  
14 up-to-date storm tide and meteorological information.  
15 This is only possible, however, when the tide stations  
16 operate throughout the storm, so Sentinels are designed  
17 to withstand a category four hurricane with winds up to  
18 155 miles per hour and storm surges of nearly 20 feet  
19 above normal.

20                   Planning, design, construction and  
21 operation requires a team of experts in surveying,

1 engineering, pile installation, oceanography, quality  
2 control and Web expertise. With new technology NOAA is  
3 better meeting the needs of coastal communities. Lives  
4 are often at stake during the 24 hours before a major  
5 storm. Once flood waters begin to rise, it becomes  
6 critical to know which evacuation routes are passable.

7 MALE VOICE: Having this kind of media  
8 real-time data up close that our community has access  
9 to is critical for us in our day-to-day operation.

10 NARRATOR: Each Sentinel will report  
11 real-time water level and meteorological observation.  
12 Water level measurements are precisely referenced to  
13 ensure that coastal communities can make informed  
14 decisions to elevate housing, build levies and plan  
15 evacuation routes. In addition to storm time reporting  
16 the products that result from NOAA's instruments also  
17 contribute to safe navigation, accurate charting,  
18 marine engineering, sea level change monitoring and  
19 other important activities.

20 MALE VOICE: When we take crews out we  
21 always check the tides. Being from South Louisiana,

1 you have to make sure your barges and boats can get in  
2 before you can begin any work. Tide information is  
3 very important.

4                   NARRATOR: The first Sentinels were  
5 constructed along the Gulf Coast at Kalkashew  
6 (phonetic) Pass, Amarod (phonetic) Pass and Shell  
7 Beach, Louisiana and Bay Wetland in Mississippi.  
8 Hurricanes Gustav and Ike tested the Sentinels within  
9 weeks of installation. Standing strong they delivered  
10 tomorrow tide data which were used by emergency  
11 responders as well as thousands of coastal residents.  
12 More Sentinels are planned and will be built at exposed  
13 coastal locations as funding becomes available. Other  
14 stations in less exposed areas will be elevated above  
15 storm surge range on substantial structures.

16                   Coastal communities must be ever-vigilant.  
17 Even tropical storms can deal a massive blow to many  
18 residents, especially storms that make landfall on a  
19 high tide. Sentinels are designed to serve the over  
20 150 million residents of coastal communities, planning  
21 for the worst and hoping that we never need those

1 plans; however, if the unthinkable happens NOAA's  
2 Sentinels will be there standing tall and providing a  
3 safe haven for instruments that are vital to planning  
4 for and responding to nature's fury.

5 (DVD concluded)

6 MR. SZABADOS: Again our goal is to get  
7 this package and some outreach material and target for  
8 the upcoming hurricane season. All right. Any  
9 questions?

10 MR. WELCH: Mike, how much does one of  
11 those Sentinels cost?

12 MR. SZABADOS: Good question. We built  
13 those right after the Katrina and the negotiation for  
14 prices, we were at the point where if you didn't  
15 negotiate you hope you got the contract. The cost for  
16 those right now, they're half a million dollars apiece.  
17 The elevated platform is a lot less, depending on the  
18 location but it's, I'm going to say less than a hundred  
19 thousand dollars for that, that frame.

20 DR. JEFFRESS: Mike, I'm sure you're aware  
21 that the Corps of Engineers has plans to put two

1 Sentinels in Texas. We're working with you guys and I  
2 think you're in the loop.

3 MR. SZABADOS: That's correct. Based, what  
4 Gary's talking about, in Galveston there was a platform  
5 designed by the Corps which did not survive --

6 DR. JEFFRESS: Ike.

7 MR. SZABADOS: -- Ike --

8 DR. JEFFRESS: Yeah.

9 MR. SZABADOS: -- and they're very  
10 interested in our design working with them and actually  
11 part of the Houston PORTS system.

12 DR. JEFFRESS: Right.

13 MR. DASSLER: Mike, I was just curious how  
14 they're dealing with benchmark requirements and  
15 leveling out on those sites and have they thought about  
16 just putting in a Corps station for monitoring movement  
17 of the platform?

18 MR. SZABADOS: Okay. I'm not a -- expert,  
19 okay, so I'm not the right person probably to answer  
20 that. I can get that. I do know something we used  
21 bathymetric levels to get the location as well as one

1 of the locations in Bay Waverly, there's going to be a  
2 Corps site installed on one of them.

3 DR. JEFFRESS: And the Corps plans on  
4 putting Corps stations on both the Sentinels in Texas.

5 ADMIRAL WEST: Mike, PORTS, when you  
6 submitted your budget was there money in there for O&M?

7 MR. SZABADOS: Um, I have to be careful  
8 here because there's a couple things. We operate in  
9 three-year budgets, okay? We got the current year,  
10 2010, 2011 --

11 ADMIRAL WEST: Let's just talk about the  
12 year you had in your slide where the congressional add  
13 was 2.5.

14 MR. SZABADOS: Okay.

15 ADMIRAL WEST: Now, the congressional ad  
16 was specifically for O&M, correct?

17 MR. SZABADOS: That's correct.

18 ADMIRAL WEST: So they added to a line that  
19 already had O&M, correct?

20 MR. SZABADOS: They added to -- they added  
21 2.5 with language identifying that 2.5, specifically

1 the words were to continue PORTS O&M operations.

2 ADMIRAL WEST: Okay. So, but you had not  
3 identified any specific O&M money in your budget to  
4 submit, right?

5 MR. SZABADOS: That is correct. There was  
6 an increase for funding for PORTS in 2009 for the  
7 federal infrastructure. Since the PORTS has grown and  
8 we need more infrastructure to support that operation,  
9 internal operation, quality control, data management.  
10 There was money identified in the budget which was  
11 successful but we did not identify PORTS O&M as part of  
12 the President's request.

13 ADMIRAL WEST: How do you divvy up the O&M  
14 add?

15 MR. SZABADOS: The way we divvied up the  
16 O&M is over the, first of all, we got with the earmark  
17 last year we got guidance from the appropriators how to  
18 divvy up that money. We basically used that guidance  
19 with the following criteria: First of all, we operate,  
20 maintain PORTS. We have two models of PORTS  
21 operations, one, where the partner funds NOAA to

1 operate those PORTS and the other model is where the  
2 local partner has decided they're going to operate to  
3 NOAA standards.

4                   The only mechanism we have right now for  
5 funding the PORTS system is where we are actually  
6 operating it through the, our contracts so those PORTS  
7 that were identified which had the O&M that we could  
8 manage. The decision was based on the guidance the  
9 Gulf PORTS in Gulf of Mexico were a high priority for  
10 the appropriators.

11                   So the Gulf PORTS were funded, all the  
12 PORTS, from Mobile through Texas. Chesapeake Bay,  
13 upper Chesapeake Bay, the lower Chesapeake Bay is  
14 funded by the Navy and New York was funded. The other,  
15 some of the other PORTS where we gave some partial  
16 funding we do collaborate and do provide some tide  
17 support so that funding, partial funding went out to  
18 some of the other PORTS. And I do not, I'm not exactly  
19 sure what the percentage was.

20                   In addition to that I mentioned \$350,000  
21 was for spare parts and revitalizing, upgrading some

1 equipment. That was, we decided to distribute that  
2 throughout all our 20 PORTS systems. Actually I should  
3 say 18 because two are just coming on line, 18, so, we  
4 upgraded some of the equipment. All the air-gap  
5 systems will be getting a sensor, a laser sensor.  
6 There are some stations where they did not have spare  
7 parts. We went out and bought spare parts that  
8 currently have tide gauges and be part of that  
9 infrastructure.

10 ADMIRAL WEST: We have been worried about  
11 PORTS since I have been on this committee and one of  
12 the issues was, as Andy McGovern pointed out many times  
13 about the maintenance of these sites. I think this is  
14 a wonderful opportunity for NOAA to take this plus-up,  
15 roll it up to the next budget-submit and come up with a  
16 firm plan of how you're going to use and support O&M,  
17 either yes or no by installation or by percentage of  
18 hardware or whatever and you can get some money and  
19 then get an agreement so you don't have this argument  
20 every year about, you know, who is going to fund the  
21 operation and maintenance. So, take the plus-up and

1 roll it in and use it. Second question is, what was  
2 the technology on your visibility sensor?

3 MR. SZABADOS: The current system that we  
4 had out there was microwave and the new technology is  
5 laser. And we actually successfully tested the laser  
6 when we looked at the microwave. The one drawback from  
7 the laser is that when you have visibility issues, it  
8 does interfere but it provides a redundancy and for  
9 quality control it's a good backup sensor.

10 DR. JEFFRESS: Mike, on the visibility is  
11 it a fixed baseline you're measuring the atmospheric?

12 MR. SZABADOS: I'm not sure I understand  
13 the question. I'm sorry.

14 DR. JEFFRESS: This new sensor for  
15 visibility, right, is it over a fixed length or is it a  
16 variable length that you are measuring?

17 MR. SZABADOS: It's a variable length.  
18 It's on the same platform, actually the same platform  
19 as the microwave and hits the surface and bounces back  
20 up.

21 DR. JEFFRESS: The reflectance is off the

1 sea surface?

2 MR. SZABADOS: Yes.

3 DR. JEFFRESS: Good.

4 MR. SZABADOS: It's a direct measurement to  
5 the sea surface. I'm sorry. Did you say visibility or  
6 did you say --

7 DR. JEFFRESS: Yeah.

8 MR. SZABADOS: You said visibility. I  
9 apologize. I was still on -- I was on microwave. The  
10 visibility is a laser system, too, but it's going to a  
11 mirror and bouncing back.

12 DR. JEFFRESS: But it's only one  
13 distance --

14 MR. SZABADOS: It's a fixed, that is fixed  
15 distance.

16 DR. JEFFRESS: How long is the baseline?

17 MR. SZABADOS: The baseline, oh, we're  
18 talking, it's a short distance, we're talking within  
19 meters. So it's going to take multiple -- if you want  
20 to know the extent of a visibility you're going to have  
21 to have multiple sensors strategically placed.

1 DR. JEFFRESS: Spaced out at different  
2 distances, right?

3 MR. SZABADOS: Strategically placed, the  
4 area coverage of the fog or the visibility issue.

5 DR. JEFFRESS: Right. Thank you.

6 MR. SKINNER: Any other questions or  
7 comments for Mike? Thanks very much.

8 MR. SZABADOS: Thank you.

9 MR. SKINNER: Appreciable the update. John  
10 Oswald, on the latest from Alaska.

11 MR. OSWALD: Do I still have just seven  
12 minutes?

13 MR. SKINNER: Well, let's see how the first  
14 six minutes go.

15 (Laughter)

16 MR. SKINNER: No, John, we want to see your  
17 full presentation.

18 MR. OSWALD: Yeah, I was going to call  
19 Bobby Jindal and tell him to take out those Sentinels  
20 because he was going to take our volcano monitoring  
21 thing which is, I have a close association with

1 volcanos through a family member. I just wanted to  
2 talk about Arctic, I was just asked to keep the Arctic  
3 a little bit in front of this panel.

4 MR. SKINNER: John, can you make sure  
5 you're close to the microphone? It's a little --

6 MR. OSWALD: Is that better?

7 MR. SKINNER: That's better, yes.

8 MR. OSWALD: Okay.

9 MR. SKINNER: Thank you.

10 MR. OSWALD: You're welcome. Okay. So,  
11 maybe it's time for action. So, we'll just step  
12 through some of these things here. Just a primer on  
13 Alaska. Many of you have been there. It's big. It's  
14 quite big, twice the size of Texas. We've got 34,000  
15 miles of tidal coastline, and the Arctic is about a  
16 thousand miles, if you just draw a line around the  
17 Arctic. That's like about Miami to D.C. or that size.  
18 There's about, in the 2008 National Hydrographic Survey  
19 Plan there was 9500 square nautical miles of the  
20 critical hydrosurveys. That's about 37 percent of the  
21 U.S. There's 310,000 of the navigationally significant

1 areas. That's that huge number, the 160 years or  
2 whatever. We all know because we all read the papers  
3 because we actually still have papers for a while, or  
4 online, sea ice is melting at a rapid rate.

5                   And, I don't really want to go into that.  
6 We've seen lots of maps. You've had lots of previous  
7 presentations about the sea ice is going away. It  
8 just, it's going away. One big driver of sea lanes  
9 will open up. When? You know, about six, seven years  
10 ago it was thought it was going to be around 2040, and,  
11 I mean, it could be in five or ten years. The shippers  
12 want to have consistent movement of freight from  
13 Yokohama to Rotterdam basically to get those Rubbermaid  
14 Totes to the markets, at the Walmart store.

15                   UNH has done quite a bit of work in the  
16 Arctic, for law of the sea, CO-OPS has done real recent  
17 work. OCS has done a recon of the Arctic last year  
18 with one individual. NGS has done shoreline mapping  
19 work, recently, repeated there, but we get these large  
20 storms, huge storms in western Alaska so you have big  
21 surges. It's low tide, big surges. Just whenever you

1 have the low tide atmospheric go over.

2                   And down here we have the Governor's letter  
3 to Jack that I assume somebody in NOAA is responding to  
4 but it's a commissioner and it was a panel put together  
5 about climate impact assessment. So all these states  
6 are having these commissions to study this. And, it  
7 was set up by the state legislature. They've issued a  
8 report that's been well-circulated around the federal  
9 agencies, et cetera, et cetera. So you've got lots of  
10 studies, commissions, reports. And I just think we  
11 need some coordinated action now before it's too late.

12                   Of course Alaska came from Russia in 1867.  
13 Look at that, March 30th. Nine days later the Senate  
14 ratified it. Nothing happens that fast anymore down  
15 here on Capitol Hill. But a little known fact -- some  
16 people here know this -- that the Coast and Geodetic  
17 Survey, the predecessor to NOAA, was very instrumental  
18 in why we're speaking English instead of Russian,  
19 because government employees were allowed to lobby  
20 Congress and they did that under the leadership of  
21 George Davidson, who was with Coast and Geodetic

1 Survey. They named a ship after him. There's Davidson  
2 Bank, Davidson Glacier, et cetera.

3           Some recent things, there's a lot of oil in  
4 the Arctic. This NPRA, that's opened under Clinton  
5 administration, the drilling, current but it was set  
6 aside by Harding in 1923. Of course you had this huge  
7 boom in World War 2 that needed surveying and mapping  
8 and after World War 2 we actually had a road to Alaska,  
9 big road. We still had just one road. So everything  
10 is coming up on ships and airplanes much.

11           This is an interesting date here. 1947 to  
12 '53 was the last major effort that the Office, what's  
13 now the office of Coast Survey in the Arctic surveying,  
14 hydrographic surveying to support a nationally needed  
15 project, which was the Cold War, building of the  
16 distant early-warning radar sites to catch the  
17 low-flying Russian bombers. That was a high priority  
18 for the nation. The Coast Survey responded. They  
19 spent six years doing this. And I would love to go  
20 talk to Harley Nigrin -- he's still alive -- because he  
21 was on it -- I researched some of this in the last ten

1 years. That was the last major charting effort and it  
2 was classified. Go read the descriptive reports on the  
3 Internet that were declassified in the early seventies,  
4 interesting.

5                   Statehood, we're an owner state so it's  
6 different than all the other states, as the land that  
7 the State of Alaska has was submerged and, on land, is  
8 we share the revenue, the residents share the revenue;  
9 hence the permanent fund dividend. That's how that  
10 came about. So if there's mining or development on  
11 state land and it makes money, that is shared. It's  
12 called the owners. It was in our Constitution.

13                   There has been oil exploration supported by  
14 maritime interests since 1957 to present, both in the  
15 Anchorage area and North Slope. We settled with the  
16 natives or the Feds did in 1972 and there was another  
17 thing pushed through the last, in 1980, Lands Act. And  
18 we still have one road to the Arctic. To get to the  
19 Arctic there's one road. One road to Alaska; one road  
20 to the Arctic.

21                   And we got all these other things happening

1 here. We had brief briefings by, we had sort of a  
2 briefing in Anchorage, this committee here, and some of  
3 this was discussed a little bit. Molly McCammon  
4 chaired that and she's involved in the ocean observing  
5 community. In fact, she may be the Chair of the  
6 Association of Regional Associations now. And, she's  
7 like me. She comes from a non-oceanography background  
8 so she's sort of a free-thinker. Amy Holman, she's the  
9 NOAA Regional Coordinator in San Francisco last year,  
10 and U.S. Coast Guard.

11                   So I don't want to repeat too much but the  
12 Coast Guard says they are talking their southern  
13 operations and moving to the north. They said that in  
14 your briefing. And the NOAA Regional Coordinator in  
15 the group there wrote a real nice report with lots and  
16 lots of recommendations about everything from geodetic  
17 infrastructure to tides and currents to charting to ice  
18 forecasting, et cetera.

19                   This is why there's this misconception of  
20 Alaska. We're actually a province of Bobby Jindal's  
21 territory here. See, we're just, and Barrow got run

1 right over by those last two hurricanes. They moved  
2 Puerto Rico to Cuba and Hawaii's -- or is Alaska now  
3 under John McCain state or is Alaska -- oh, Hawaii is  
4 over here in Bobby Jindal's district.

5                   And this is just an interesting map. It's  
6 wind that everybody is interested in. So we are  
7 getting warmer though. They didn't really move us.  
8 And we're actually this size, you know, everybody's  
9 seen this map. It's from, you know, down here to  
10 Georgia to the last of the Aleutians are over by San  
11 Diego. And this is an old map. It used to have 18  
12 tide stations, these NWLONS, like for Mike Szabados's  
13 shop, and now there's 26 in Alaska; 142 in the nation,  
14 now we have 200 and something. This was a slide from  
15 about five years ago. So there's progress being made.

16                   Here's OCS's operations for this year, and  
17 this is right on their Website, the Nautical Charting  
18 Program and you see it's southern Alaska here. The  
19 Arctic Circle is basically right up here, Bering  
20 Straits and Russia, which we can almost see from here  
21 if you look hard enough, right there, where it says

1 Kodiak Island. That's a leader. But there's about a  
2 hundred transits of ships into the Arctic a year  
3 according to your Coast Guard briefing but there's  
4 movement afoot.

5                   And I just want to show some data products.  
6 You have seen other things here. This is the Red Dog  
7 Mine facility, is a tide gauge that was established in  
8 2005, and whenever you have small tides like the Gulf  
9 Coast -- Chesapeake Bay is prone to this, too -- you  
10 have predicted tides, blue line, real tides is the red  
11 line, and green is just the observed minus predicted.  
12 Many countries do this. It's a way of data portrayal.  
13 These are real-time stations transmitting six every  
14 hour and some upgrades to six minutes in the tsunami  
15 areas.

16                   See, here we have predominantly water above  
17 predicted. Here it's predominantly below because this  
18 is in March. This is in the summer. This is in March.  
19 And here it's just about right. It's like the Three  
20 Bears story, you know, or something. But you can see,  
21 prediction methods are ancient. You need to do what

1 this guy from Texas says. There are modern ways to do  
2 this, taking in other events that have errors in them,  
3 too, because weather dominates. And this is just above  
4 the Arctic Circle.

5                   Here's another one. I don't know if people  
6 have ever experienced tsunamis here. This is Adak.  
7 It's an NWLON on the end of the, toward the end of the  
8 Aleutians. Here's a little tsunami. This is in --  
9 typically do these in meters, and it's, yeah, this is  
10 all meters. So these are, oh, I don't know, it's a  
11 half a meter tsunami. I was driving home from work.  
12 My wife called me, said there has been an earthquake in  
13 Kamchatka, 8.2. I said, "Oh, my God." That's a big  
14 earthquake. And, so, I go home.

15                   And the times of tsunamis are predicted  
16 real well but the heights aren't. You have to have  
17 off-shore or on-shore gauges to confirm your models.  
18 So I sat there at my computer and watched that as the  
19 tide appears and then you can click on the Japanese  
20 site and see it because it radiates, you know, a radial  
21 thing.

1                   Sea level rise, well, right here is  
2 Skagway. This is in northern southeast Alaska and it  
3 was on Mike's slide of the nation but here sea level is  
4 actually going down. So, this is common in Minnesota.  
5 Well, Minnesota doesn't really have the sea but there's  
6 isostatic rebound. The glaciers melted so the land is  
7 like a sponge; it's just going up.

8                   So the good news is, is that people that  
9 are in Skagway, their houses are getting farther away  
10 from the waves but the bad news is the soundings are  
11 getting shallower. So down in Bobby Jindal's district,  
12 you know, the good news is the channels are getting  
13 deeper but, you know, global sea level is changing.  
14 It's about two to three millimeters a year up, mostly  
15 due to the warming but there's glaciers, et cetera.  
16 This is about, almost two centimeters a year, right  
17 here, and this is prevalent in that area of southeast  
18 Alaska.

19                   Coast Survey has taken a real big interest  
20 in Alaska for a long time. And this, I have this map  
21 in my office. This is Barrow, Alaska. You come down,

1 Kotzebue would be here and Nome is down in here. But  
2 in 1911, this guy, Harris, Coast Geodetic, mapped out  
3 from observations that he had from a variety of  
4 countries, these are full tide lines, how the tide  
5 progresses timewise, and mapped out down in the corner  
6 here the little Androming (phonetic) Point near Nome,  
7 Alaska, pretty major achievement. They speculated that  
8 this area, this stuff didn't fit so they speculated  
9 there was land there land there. We now know there was  
10 not land there. That's just an interesting thing.

11           This is an island near Kodiak that we  
12 surveyed or helped survey. OCS surveyed this -- radar  
13 and the chart with this line here and underlaying it is  
14 the Google image. So when the people in the airplane  
15 turned the lighter, the penetrating lighter they were  
16 actually flying over land instead of water and they  
17 called us up because we had actually been on land to  
18 put up a tide gauge. And, sure enough, the item was  
19 about a mile out of position. And that picture is  
20 similar to this in your Hydrographic Services, the Most  
21 Wanted List in that publication you have of another

1 island. But we see this with detached Islands.

2                   Other issues in Alaska, you have just a  
3 huge area. You know, it's a survey, point spaces  
4 that's being surveyed this summer. Here's an area,  
5 cruise ships want to be to go up in this area here.  
6 This is down in Yakatak and we surveyed this portion  
7 and out in the ocean but this still remains right here  
8 there are no soundings on the chart. It's pretty  
9 common. And, we have, according to David MacFarland we  
10 have Captain Cook soundings on Alaska charts. He was a  
11 couple of OCS records ago. I don't know which  
12 soundings but he pointed out that fact.

13                   Back to the Arctic, these are the Arctic  
14 charts that we have. They're 1 to 50,000 scale, 1947,  
15 single-beam visual hydrographic methods to support the  
16 DOD projects. But what we see in some areas, now this  
17 little point here is Point Hope. It's just above the  
18 Arctic Circle. It's been inhabited about 3,000 years.  
19 People live in houses like this, which are made out of  
20 bone and, whalebone and bear foot.

21                   In fact, Steve Oominak lived in this until

1 about 1970. An engineering company I used to own, we  
2 actually moved this village, did the planning and the  
3 engineering of the village, as shown here on the NOAA  
4 nautical chart but it's actually here since 1975. It's  
5 over in this area here. It was just moved because of  
6 erosion and higher ground. And, on this part of the  
7 chart, and this is, I just I just downloaded this. You  
8 can actually see right here there's actually a sounding  
9 on that chart. So that's good. It's just hard to keep  
10 up with this. It's such a massive area.

11 Oil and gas, real quick here, the modern  
12 oil and gas industry, been pretty much in the Arctic in  
13 the 1960's. The discovery well was 1968 on-shore in  
14 Prudhoe, that there was, everything was taken up there  
15 with ships. So we didn't really need good charts. We  
16 just, local knowledge prevailed pretty much. But this  
17 has got a lot of people's interest, this, the \$2.6  
18 billion that went into the Chukchi Sea Lease -- Chukchi  
19 Sea Lease is here. Here's Barrow. Here was that  
20 little town, Point Hope, 600 people. So it's federal  
21 waters but the largest OCS they say in Alaska history.

1 There have been larger ones in the Gulf of Mexico. So  
2 it's a big deal.

3 Alaska holds about 31 percent of the  
4 nation's oil and gas. There's more oil in the Alaska  
5 OCS USGAS mineral management field than has been  
6 produced in Prudhoe Bay. Prudhoe Bay two years ago was  
7 providing 25 percent of the U.S. domestic supply and  
8 all of the Prudhoe Bay stuff was taken there pretty  
9 much by ships using your charts.

10 In general in Alaska about 60 to 80 percent  
11 of the people approve of oil development because it  
12 fuels the economy, for one thing, but there's an  
13 ongoing lawsuit on that Chukchi thing from the Navy  
14 community because of just issues with whaling.

15 Here's the ships that are typically, I have  
16 used, Larry's used, maybe some other people, icebreaker  
17 stuff. These are, so in the oil fields, how did we  
18 survey the oil fields? Survey the oil fields, just go  
19 over get some Canadian -- we don't have expert in  
20 drilling, hydrographic expert in this country. Now, a  
21 small contingent of Coast Guard ice breakers, the Coast

1 Guard was going to get a new one in the stimulus  
2 package. They got to cut it out from what I  
3 understood, \$800 million. Ice breakers, you know,  
4 breaking ice, surveying, and they crush, you know, they  
5 get up and crush the ice.

6                   And then these smaller vessels to bring  
7 supplies into the villages, this vessel I use, ARCO  
8 gave it to me, now Congo-Phillips, it's about the size  
9 of The Rainier, has a 25,000 horsepower in class four.  
10 Go through four feet of ice continuous. We can survey  
11 four feet of ice continuous and, but, what we did, your  
12 challenges are you have ice one day, there is just ice  
13 you can actually sort of navigate around, and the next  
14 day you have water and just highly variable. And  
15 that's one of the surveying challenges. We have  
16 surveys there, has been single beam, side-scan, all the  
17 color cameras, for seismic exploration.

18                   Here's one that some of you have probably  
19 been around. It's a big thing in the water. This is  
20 SSDC. It's a drill platform and you see the derrick up  
21 here. So this is about half of a 1200 foot supertanker

1 that they may double hull by making another hull and  
2 filling it with concrete. So it's, and it's got a  
3 little foot so they would sink it to the bottom. So  
4 you need bottom surveys, very accurate surveys of this  
5 stuff. This is what the bottom looks like. It's like  
6 playing in the sand, just breaking your fingers, ice  
7 showers. Currently oil experts use relatively shallow  
8 water but Andy can speak to this more, where they found  
9 ice showers on the wall of the sea in huge depths, huge  
10 depths. I mean huge, I mean, 5,000 meters?

11 MR. ARMSTRONG: Five hundred meters.

12 MR. OSWALD: Five hundred meters. So the  
13 ice piles up -- the weather grinds it along. And you  
14 can see predominant, the time of the scower is  
15 predominant wind and then occasionally some of these  
16 you will see a stripe that goes across, you know, just  
17 was a different wind day.

18 So for surveying the oil industry you look  
19 at different things. Like Larry mentioned, this Corps  
20 of Engineers, but for engineering purposes you are  
21 looking at different types of data. Seismically you're

1 looking at, you don't want to set a big structure on  
2 the bottom. There's a big hole in the middle or the  
3 hull will crack so it's real important to have a flat  
4 bottom.

5                   NOAA's three steps. Here's what NOAA did  
6 in 1947 to '53. They used these boats, built these  
7 little cabins on them. Here you see launching and I  
8 have done this with the bulldozer and small vessels,  
9 you just put them in water, because you don't have boat  
10 ramps in the Arctic. But these guys in 1947, they used  
11 landing craft to support their mobile operations. And  
12 they went out to about ten fathoms approximately, ten  
13 fathoms, 60 feet of depth.

14                   I couldn't find a picture of the landing  
15 crafts that they used on the NOAA Website but these are  
16 the ones that we have used. These type of landing  
17 craft, this is an aluminum one here. This is actually  
18 a take-apart landing craft. It's about -- quarters,  
19 that's actually performed in NOAA hydrographic survey  
20 just sub-Arctic via Nome, mounted with a multi-beam.  
21 Here's another one. This one is supporting shell

1 prospects. Last year, this is up in Barrow. Here's  
2 one where a little tuggy was there, see on stilts, see,  
3 so it doesn't get flooded. But this is a common  
4 arrangement to support because you get inside the  
5 Barrier Islands. You can't take an icebreaker inside  
6 the Barrier Islands. For a NOAA ship you can't get  
7 them inside, it's too shallow, just too shallow.

8           Some oil field shots, this is a big thing,  
9 this oil field to the country, this oil thing that our  
10 Governor actually got in front of everybody, yeah,  
11 whatever, but it's a big revenue generator. It's been  
12 done in a reasonably environmentally friendly way now  
13 and there's more emphasis on lower impacts, the  
14 directional drilling but it takes huge lead times. The  
15 Chukchi lease, in 2007, I worked on other leases in  
16 1982, you know, your gravity surveys and it's still not  
17 producing. Most of the projects I've worked on,  
18 development projects are still planned.

19           But historically NOAA has -- C&GS, what did  
20 they do to support infrastructure? NGS in 1977 and '78  
21 or '76 and '77, they ran levels, precise first order

1 levels to support the finishing of the TransAlaska Oil  
2 Pipeline where we get our oil and gasoline. They did  
3 that. The entire -- suggested that OCS provide the  
4 charting in Prince William Sound. I worked on it for  
5 NOAA, first day I surveyed, the library. You know what  
6 happened there, there was an anniversary just recently.

7                   And then CO-OPS has NWLONS at Prudhoe Bay  
8 and Valdez. And now we have a new gas pipeline in the  
9 works and everybody knows about that because our  
10 Governor talked about it, you know, nationally but I  
11 also surveyed that same route. For that pipeline it's  
12 unbuilt in 1983. Larry and I worked on that.

13                   Mining in the Arctic, I think Andy  
14 mentioned this, the largest zinc mine in the world is  
15 just north of Katsivu (phonetic). CO-OPS has an NWLON  
16 there. Now it's the last dock before you get to  
17 Prudhoe, pretty much. And these are the largest  
18 buildings in Alaska. So, the mine is 50 miles inland  
19 and the zinc concentrate is mined and then hydrated in  
20 the mine, brought, stored here, conveyed out to an  
21 indirect loading facility, I'll call it.

1                   And then it's put on these lightering  
2 barges, FOSA's lightering barges, they have two, and  
3 they have these nice little tugboats and then lighter  
4 it to these guys up here. They were about three miles  
5 off-shore. Because the water, you know, you need to be  
6 that far off-shore. There's about thirty Panamax ships  
7 a year take this zinc concentrate to as far places as  
8 Europe. A lot of it goes to trail British Columbia  
9 where it's further refined.

10                   Port enlargement is planned. There's few  
11 soundings on the chart so how do they do this? Well,  
12 they have, the mine developer pays to have engineering  
13 surveys done. That's how this is done. They're not  
14 going to just not call NOAA, say give us a chart. You  
15 just do this yourself. And there's a direct loading  
16 facility planned and that's got all kind of currents  
17 and buoys and yadda, yadda, yadda on that one but it's  
18 not built because this is a mineral-rich area. It's a  
19 mineral-rich area.

20                   There will be more mining and this is,  
21 unless you start building more roads this is probably

1 the way it's going to happen, is to bring it out to a  
2 port like this, seasonal port, thirty ships a year.  
3 Here is the doc. Here are waves of about twenty feet  
4 coming in, in the fall. The tide gauge that we built  
5 is actually on the other side of this, is up here. We  
6 build it up about thirty feet above the highest level  
7 of the waves. We hardened it and built it.

8                   There will be more shipping, just this  
9 specialized shipping for mining, be more of that.  
10 Erosion, there's going to be more erosion. Everybody  
11 reads about that in the New York Times, erosion. I  
12 mean, everyone has got erosion, no big deal. It's  
13 like, just happens. But the USGS got a lot of mileage,  
14 studied erosion, they like mapping and they published a  
15 paper at the AGO Conference last year in San Francisco  
16 American Geophysical Union, New York Times picked it  
17 up. HydroInternational Magazine probably half of us  
18 get here. And on the cover, Arctic Shoreline erosion,  
19 just east of Barrow. Used to be around 8 to 13 meters  
20 a year and they documented something about 25 meters a  
21 year in this epoch of about I think 2002 to 2007. So

1 how does NGS or OCS react to something that's changing  
2 that fast? These are four-dimensional things we're  
3 trying to measure here.

4                   Anyway, I wanted to mention something about  
5 culture awareness because unless you have lived there  
6 you don't, you know, it's hard to quite understand  
7 this. You walk into a store in Point Hope. This is a  
8 native corporation's name, Tikgaq store. It's a little  
9 store. And you can go in there and buy a dart un and  
10 shoulder gun and bombs and harpoons. This is, I kid  
11 you not, right out of the Moby Dick. And you have to  
12 look at this one. There is the little floats, the  
13 line. I mean, whaling, it's a big thing. This will  
14 impact the way you survey in the Arctic, I guarantee  
15 you. It's holding onto the 2.6 billion dollar lease  
16 currently, whaling in that type of issue. That's what  
17 I'm saying, it conflicts with marine surveys. This is  
18 very important.

19                   The Eskimos, they got one foot in ancient  
20 and one foot in the modern world. And we work with  
21 these guys all the time. And, there is more whaling.

1 So NOAA is chartered to protect whales. Well, NOAA is  
2 going to have to deal with this issue, too. You know,  
3 there's a Whaling Commission and Walrus Commission, et  
4 cetera.

5                   And, it's a very big culture. This is a,  
6 the one on the left is the celebration after whaling.  
7 Larry and I used to work for a company and we,  
8 eventually transitioned into a Navy boat company and we  
9 used to get these holidays. Say, what do you mean? I  
10 have to go home? Because somebody caught a whale in  
11 Barrow. It was cultural awareness for me.

12                   Here's some of the work CO-OPS is doing in  
13 Barrow. GPS, major tides a little bit here. These are  
14 systems that are bottom-mounted and that's sort of an  
15 experimental system. We put it on the bottom and  
16 measure the pressure. And in the background here's  
17 GPS. You know, GPS can be used to measure tides. It's  
18 nothing, there's nothing to -- just the thing. And  
19 here's a nice building out here that partly belongs to  
20 NOAA, Arctic research buildings, \$60 million, NOAA  
21 National Science Foundation. Realize, that's where

1 your tidal benchmarks are, Mike. I don't know if you  
2 knew that or not.

3                   And that's a CO-OPS project. These are  
4 just pictures to show you, you know, we're leveling to  
5 the water. Mike mentions QC with your laser. This is  
6 an ancient way to do it. It's real good. Here's a  
7 tidal benchmark. I said in 1982 and I said it set it  
8 when it was out here. Well, actually, this shore is  
9 eroded and this actually is protected shoreline.  
10 Issues with the shoreline in the Arctic, it's got all  
11 this ice in it so it gets to spew waves, melts out  
12 pretty quick and goes away.

13                   Here's a research tide gauge, a different  
14 concept. It's basically an inverted pathometer.  
15 Eventually you're playing around with that at the  
16 University, Fairbanks -- go to, you know, Gloucester  
17 Point in the Chesapeake Bay, you got marinas  
18 everywhere. This is a boat ramp in Barrow. So when  
19 there's ice you just pull it out. I mean, this is the  
20 thing you're dealing with, with small boat operations.  
21 Here's a small boat operation. I think that's Larry

1 right there. Here's another small boat operation,  
2 field barges. Airplanes, now, that's how we get to the  
3 Arctic, indoor surveying, airplanes sometimes but when  
4 you go to the Barrow Airport you just got to watch out.  
5 Carry your own bags. Got to fill up the picture.  
6 And -- show that pictures of these, that's the one in  
7 Nome but we're a contractor so we sort of have to use  
8 the background sometimes. That's us. You always have  
9 kids helping you out.

10 Beach erosion, it's, you know, you have  
11 seen in other pictures, no big deal. Discovery Channel  
12 has got a -- Senate appropriations on this issue in  
13 Anchorage a few years ago. There's a State Climate  
14 Commission. Millions have been spent on remediation,  
15 trying to protect some villages. And it's not  
16 uncommon, this is work we did this year on tide gauges  
17 for CO-OPS, 20 below here. We can make our equipment  
18 work at 20 below. Trying to find a benchmark under 25  
19 feet of snow here in Kaktovik. And that's bears that  
20 are actually chasing our survey crew, CO-OPS -- but  
21 typical, you know, the 30 to 50 below stuff in the

1 winter, wind, snow, no light. You just learn to deal  
2 with all this stuff.

3                   There's CO-OPS tide gauges right now in  
4 Barrow. Well, they're under that ice right now.  
5 There's more just pictures of dealing with ice and  
6 stuff. We have had late breakup and early precip last  
7 year. I don't know if you can see it, there's just a  
8 million mosquitos on this guy's back. Here's our star  
9 cook on a job, Prudhoe Bay. And she's got bare feet.  
10 I mean, we have seen 75 degrees on the north shore.

11                   NOAA ship surveyor in the ice. I've heard  
12 that somebody towed this back one year but I'm not real  
13 sure but I haven't got independent testimony to that.  
14 We got to be careful of these ships, no ships, any  
15 ships in the area. So, I had -- and I assume this gets  
16 printed or put on your Website or Virginia has this,  
17 ideas, these are, I don't know, just ideas. For Coast  
18 Survey, you know, prioritizing emerging areas in the  
19 Arctic.

20                   This is actually happening now, Coast  
21 Survey, right now site tabulated, got about a thousand

1 square nautical miles that are being prioritized, just  
2 the western Arctic not even Barrow to the border. I  
3 would concentrate on shallow water now. Deep water, I  
4 would just wait till after the ice melts. Deep water,  
5 deeper water, you got to have an ice breaker. It's  
6 just sort of cost prohibitive.

7           Arctic fieldwork in 2010 and beyond, I just  
8 developed a rational and coordinated plan with  
9 different entities here. Well, Steve can say that. I  
10 think NOAA has taken the ship to the southern part next  
11 year but I would also use contractors in the Arctic,  
12 been there, I have been here for thirty years, some  
13 sort of highly mobile operations like in Barrow or  
14 maybe some sort of more intense recon. You need to  
15 think about how you're going to survey. You don't need  
16 100 percent multi-coverage in the Arctic. There's ways  
17 that are more cost effective, sedimentary, you don't  
18 have clinical -- rocks.

19           Best survey strategies, risk analysis for  
20 NOAA type ship operations and work with Alaskans who  
21 live there, you know, I had to learn this after I left

1 NOAA about this Arctic stuff. I would say you either  
2 had to ask for additional funding like the other  
3 agencies are doing this now, so if you go to, Arctic is  
4 a priority and you go there then you can't survey in  
5 Louisiana or somewhere else. You know, so, I would put  
6 that high on the wish list. NGS for Juliana, and, I  
7 have many more minor items. Much of the shoreline is  
8 out-of-date, work with USGS, BLM.

9           The State of Alaska, the State of Alaska is  
10 considering a hundred million dollar mapping project in  
11 Alaska, that has some real great opportunities for  
12 National geodetic Survey, GRAV-D one thing. Examine  
13 your specifications. Are they suitable for Arctic  
14 challenge? I would say no. What we're using in  
15 Potomac River is not suitable when your shorelines  
16 change in 25 -- a year. There's V-DATUM, GRAV-D and  
17 GPS for tides. That is the way to go. I'm a believer.  
18 It just needs to happen. The tide gauges are difficult  
19 to operate.

20           And the core density is a less important  
21 issue right now but this true sea level change we need

1 to get NGS, CO-OPS, everybody working together to get  
2 true sea level. Because there's so many people,  
3 newspaper editors in particular look on the CO-OPS  
4 Website and say look, the sea is going down in Skagway.  
5 Well, it actually isn't. It's just -- and, not to put  
6 CO-OPS last but continue long-term tide observations at  
7 the two NWLONS and Barrow, the Arctic stations. Again  
8 true sea level change, gap analysis report, which  
9 erodes and I think that has probably been presented to  
10 this committee, I imagine. And this is an important  
11 thing that needs to happen, have the CMTS and the  
12 climate change, all this input from these other  
13 drivers. I mean, it's really a technical report.

14                   And, new technology, Mike talked about  
15 that, and quicker turn-around on publishing results.  
16 That would be on my wish list. Coordinated effort by,  
17 oh, and, I don't really know the higher management of  
18 NOAA and all of this Arctic stuff, that may be one  
19 executive for charting, Jack -- Jack has got all these  
20 other things here responsible for, Jack Dunnigan. So  
21 maybe that one executive for charting, I would put what

1 in Alaska. Most agencies don't spend as much money as  
2 this part of NOAA, has a huge number of people in  
3 Alaska, and you go down and just talk to them and they  
4 know all the issues. And there are some of agencies  
5 much like NOAA where it's more central controlled.

6 Be proactive on climate change. Some of  
7 this is actually in process at Office of Coast Survey.  
8 Funding requests to Congress before there is a problem  
9 so NOAA is not left behind and FAA gets the money or  
10 BLM or USGS for the -- botanical garden because we have  
11 a grant to study Arctic change.

12 And, this is our volcano. That's almost  
13 from my house. It's given us fits. And we have that  
14 trouble, too. It looks like a nuclear explosion all  
15 the time. It's just pretty amazing.

16 And I'll just sort of end with that.  
17 Anybody have some questions? Although I would like to  
18 show one thing. I don't think you saw it on the  
19 Red Dog slide but I had Russia just a little bit off  
20 that slide and that actually is a true statement  
21 because it's right next to Russia. But, so I'm at the

1 airport yesterday and look at our Governor, made the  
2 cover of some magazine I've never even heard of. I  
3 didn't even recognize her without glasses.

4                   And I actually read this and, you know,  
5 whenever you know something about a subject and you  
6 read it in a mainstream publication, oh, man, it is  
7 dizzying. Arctic sea rise right in our paper -- you  
8 know, it's all these issues but you just have to  
9 prioritize where does this fit in with the Port of  
10 Baltimore and hardening. And it's an issue not, the  
11 oil industry has sort of done okay up there, getting  
12 all this stuff there but probably the biggest issue  
13 will be the Panamax ships. And pick a date, ten years,  
14 because they want to have reliable open water to do  
15 that, to take them from Shanghai to Rotterdam, because  
16 it's 5,000 miles. And how is that going to play with  
17 whaling? It's not going to -- it will be interesting  
18 times. Questions.

19                   MR. SKINNER: Thanks, John. Appreciate  
20 your coming back and giving that presentation. Any  
21 questions for John?

1                   MR. WHITING: Of course I'm from Alaska.  
2 I'll ask one. I'm Larry Whiting. How many times has  
3 the pipeline been surveyed from Alaska to the U.S.  
4 There's three of them, right?

5                   MR. OSWALD: We had to switch the pipeline.  
6 So, gas pipeline, I think Larry is probably referring  
7 to the gas pipeline.

8                   MR. WHITING: Yes.

9                   MR. OSWALD: So we were shocked as  
10 everybody when Sarah Palin announced this, whatever.  
11 She actually stayed in the hotel where I used to cut  
12 the grass the day before she announced. I thought that  
13 was a trivia -- anyway, she put this pipeline out and  
14 all my relatives in Ohio and Georgia think this  
15 pipeline was built to spend on it. But the gas  
16 pipeline, we first surveyed that in Prudhoe to a  
17 high-pressure gas, big dimer-pipeline, Prudhoe and  
18 Alberta, 2000 miles and in 1982 to '84, then again in  
19 '88, 2003. And there was one in there about, between  
20 that.

21                   And then now, we're actually surveying two

1 pipelines now. Only one will be built for only the  
2 Federal Energy Regulatory Commission, and the National  
3 something, NAV-Canada will only issue one license to  
4 build this utility. It's a utility. And, the State of  
5 Alaska has forked over \$500 million to promote one  
6 entity and the oil companies have another concept right  
7 now. You know, gas prices are depressed now. Gas, you  
8 know, secure gas is needed but, oh, it's, so there's  
9 about four times this one has been surveyed. It will  
10 probably be built. It's not the "Pipeline to Nowhere"  
11 but it will I think inevitably build, you know, secure  
12 energy sources in this country, you know, we clearly  
13 see what's happening.

14 MR. WHITING: So that was four times on  
15 that gas pipeline at least. Now the "Bridge to  
16 Nowhere," that you brought up, how many times have you  
17 surveyed the Garden Crossing and the one in Ketchikan?  
18 Way before it was brought up in national news.

19 MR. OSWALD: Hey, I wasn't in support of  
20 the Ketchikan one. We won't get into politics here.  
21 The one in anchorage makes sense from a long-term, you

1 know, population growth rate is 3 percent. You know, a  
2 lot in Anchorage by my house is \$200,000. Nobody can  
3 afford that. The average person can't afford a lot.  
4 So, and Anchorage is surrounded by water and mountains  
5 so you saturate it. Yeah, the bridge, the bridge in  
6 Anchorage was about, oh, I don't know, 1980, and then  
7 '83, four, five times.

8                   Big projects, you know, there's quite a bit  
9 of lead-in time. But the bridges across the  
10 Mississippi River, you know, New York Times, they were  
11 called "Bridges to Nowhere" because the west is -- need  
12 more expertise in ice. There's ice and water business.  
13 And if you can get some of that from the Coast Guard  
14 like they did last year and this committee made a  
15 recommendation of something along that line I think at  
16 the last meeting.

17                   But, it's hard to think about something  
18 that's so bizarre as Alaska from inside the Beltway  
19 sometimes. I come to the Beltway, I feel like a kid  
20 with big eyes with all the things that are happening  
21 here but it's an interesting place to work. And this

1 NGS project -- I have to say this -- and the surveyor  
2 was here but that is from NGS perspective one of the  
3 most things for Alaska to solve our vertical control  
4 issue in Alaska. It's unique in the United States.  
5 Gravity-D, it's the highest priority in the nation, is  
6 pretty much on their proposals but in Alaska it's just  
7 a matter of money, you know, funding.

8 MR. SKINNER: John, one question on the  
9 offshore oil exploration, you showed one map with a  
10 blocked-out grid. Is there any requirement for a  
11 company or a consortium to provide data on those areas  
12 to the state or the federal government? I know in  
13 Massachusetts when we have off-shore projects, they are  
14 required to provide data and, you know, a set format,  
15 so forth.

16 MR. OSWALD: The ones I have been involved  
17 in over the years, there was not for the hydrographic  
18 survey standpoint but -- Larry probably was involved in  
19 this too -- about four companies ago in 1982, Anwar was  
20 open. Anwar is the eastern corner of the state. It's  
21 got the biggest potential oil development volume in

1 North America and it is actually set aside for Congress  
2 for exploration.

3                   Anyway, our company at the time went in  
4 there and did a speculation gravity survey, gridded  
5 points to look at the geophysics of the eight to 10,000  
6 foot depths, gravity survey. Now, that data through,  
7 and that was done under the Bureau of Land Management,  
8 and USGS authority on-land exploration, federal land,  
9 and we had to turn over the raw data and the processed  
10 data but not the interpreted data. Different kind of  
11 dataset but similar -- and do you know the offshore,  
12 some gets turned into MNS but it just sort of goes to  
13 MNS.

14                   MR. WHITING: Yeah, the MNS surveys are  
15 typically single-beam and side-scan with sub-bottom.  
16 You're looking at the bottom but you're not looking for  
17 real depths as in, or safe depths. But they do have to  
18 have a survey, basically around the planned site by  
19 about, oh, 500 meters, and then beyond that it's on a,  
20 about a thousand meter grid. And it doesn't have to be  
21 multibeam. It does have to be side-scanned and then

1 that data goes somewhere. I don't know, whatever  
2 happens to it.

3 MR. OSWALD: The oil companies typically,  
4 like I have been working on the Stinalie (phonetic)  
5 pipeline for one of these, Prudhoe -- the geodetic  
6 survey I'm doing. It's like -- that's about all I can  
7 say about it. It like oil companies, it must be  
8 top-secret. And the marine surveys, the TOAS surveys  
9 it was sort of like top-secret. You're not supposed  
10 to, you know, you can't release any data.

11 MR. SKINNER: I forget how we did it but  
12 there was the same concern in Massachusetts. But it  
13 seems to me, the mantra is sort of map once, use  
14 several times, or whatever it is. I guess I don't say  
15 it enough so I haven't memorized it. But I think that  
16 that, I would like this panel to consider that as a  
17 potential recommendation, that if there's such a need  
18 in the Arctic for hydrographic data that we should be  
19 looking at ways to get it. It doesn't necessarily  
20 require a huge mobilization of NOAA-based forces to do  
21 it. Is there something I'm missing or is it really

1 just the fact that a company loses a competitive  
2 advantage?

3 MR. OSWALD: It's not the companies. It  
4 would be the off-shore leasing folks. It's federally  
5 done. Talk to your friends at the Federal Management  
6 Service --

7 MR. SKINNER: I guess that, and I was  
8 hoping we can try to refine it because I don't know  
9 enough about the topic but it seems to me that we might  
10 want to take a look at that as a potential  
11 recommendation, that if MNS or any other agency has  
12 this data or if there are efforts in the future to  
13 acquire additional data that there be some requirement  
14 to acquire the data to a certain standard that can be  
15 used by as many people as possible.

16 MR. OSWALD: Does Curt Loyes (phonetic)  
17 still work for NOAA? So in the federal government  
18 arena there's something which they call the marine  
19 boundary, working group, something like that, mineral  
20 management and NOAA and others, and, I was trying to  
21 actually promote some high gauge issues a few years ago

1 and that person, well, previous to Curt, said no, we  
2 don't need tide gauges in the Arctic. We have this  
3 from a boundary standpoint. So that might be an  
4 appropriate first start on it.

5                   But, yeah, I totally agreement. I mean  
6 you're going to cut out these consultants. I mean,  
7 this pipeline that we're working on now, I kid you not,  
8 we can potentially, we're hired by one oil company and  
9 I'm trying to get hired by the other to do exactly the  
10 same thing twice because they won't share data. That's  
11 very prevalent in the oil industry, when the oil  
12 companies own, it comes from the geophysical, you know,  
13 we own this oil.

14                   MR. SKINNER: Let me just be clear. I  
15 wasn't trying to limit the amount of contractors  
16 working on this issue. I was trying to prevent them  
17 from doing the same job twice as you mentioned.

18                   MR. OSWALD: Well, if you did this, you  
19 know, we could go survey something else. You know, we  
20 need to come up with innovative ways to, you know, meet  
21 our missions. I mean, everybody is challenged.

1 MR. SKINNER: Ed?

2 MR. WELCH: Tom, what this gets into is the  
3 fact that the Minerals Management Service collects huge  
4 amounts of money in these lease payments and then  
5 eventually if somebody actually drills and produces,  
6 then that private sector entity gets certain financial  
7 benefits. But somewhere in the process somebody says  
8 to NOAA we've got to have marine services up here  
9 before these areas can be fully developed so you guys  
10 go up to Congress or get an appropriation to do  
11 whatever the proper surveys are up here in the Arctic.  
12 Meanwhile, there's that \$9.6 billion that's going into  
13 the Treasury. If there was some kind of preexisting  
14 arrangement between NOAA and in MNS that there would be  
15 a fund transfer to pay for specified services that were  
16 directed as a result of Arctic lease sales, NOAA would  
17 be far out ahead.

18 MR. SKINNER: Other questions? Thanks,  
19 John. We're running a little bit behind schedule.  
20 Probably my fault, I had to make a couple of calls over  
21 lunch. I did note that no one particularly objected to

1 the fact. But, we have run behind schedule a little  
2 bit and, just, we want to break now or go, continue?  
3 Every one all set? Keep going? What's that? Break?  
4 Short break for like ten, fifteen minutes. Is that  
5 okay?

6 VOICE: Ten.

7 MS. BLACKWELL: Seven to ten.

8 MR. SKINNER: Seven to ten. Seven-point --  
9 what's the sea level rise in Baltimore? 3.08.

10 (There was a break in the proceedings.)

11 MR. SKINNER: We're going to try and get  
12 started again. I'll note that for those of you that  
13 had a snack during the break, some of the ingredients  
14 probably came from the Domino Sugar Refinery in  
15 Baltimore here. So, just to show how important  
16 Hydrographic Services are, you would be exhausted and  
17 hungry if it weren't for the services here. We're  
18 going to get started again. There has been a slight  
19 change in the lineup here. We're going to be hearing  
20 about NOAA's next generation strategic plan so Paul, if  
21 you're ready, we're ready to hear from you.

1 DR. DOREMUS: Wonderful. Thank you very  
2 much. It's a great pleasure to have the opportunity to  
3 be here today and to talk to you about, to kind of step  
4 back from the immediate focus of your domain, in  
5 hydrographic services as it is broadly construed and to  
6 look at that in the context of NOAA's overall planning  
7 effort. We're facing now with under new leadership the  
8 opportunity to recraft NOAA's strategic plan and we're  
9 in the middle of launching that whole enterprise and  
10 input from this committee along with our other federal  
11 advisory committees, will be most valuable in that  
12 process. We were discussing briefly over the break, in  
13 my view the various federal advisory committees that  
14 serve NOAA are a phenomenally powerful mechanism for  
15 NOAA to understand the composition of needs, emerging  
16 trends that we need to respond to and stakeholder needs  
17 and interests as they're evolving for NOAA. This panel  
18 serves that function in an exemplary fashion in my  
19 view. And for me it's very, very exciting to have the  
20 opportunity to introduce to you very early in the  
21 process how we're thinking about developing NOAA's next

1 generation plan, what its attributes are, what our  
2 approach is and how you can contribute to it.

3 I'm going to try to step through several  
4 elements of this briefing. There's really four  
5 dimensions, why are we doing this -- a very simple  
6 question to answer in many respects but not bad to  
7 start with -- and then step into a very brief, a very  
8 cursory look at some of the major trends that we're  
9 looking at, and that's one area where we would like to  
10 solicit your input or offer the opportunity for you to  
11 provide input on long-term trends and challenges facing  
12 the organization, facing NOAA as a whole.

13 And one of the attributes of this Next  
14 Generation Plan is we are trying to push the timeframe  
15 out. This will ultimately be a plan that will be  
16 endorsed by and implemented by the new administration  
17 but we feel that it's very important given the nature  
18 of NOAA'S services, given the timeframes that we work  
19 on, in terms of the impacts that apply to or are  
20 derived from our services to really extend the  
21 timeframe out. And I know in many of the industries

1 that you all either represent or are connected to in  
2 some fashion, thinking in Decatal terms is hardly an  
3 unusual thing, and I'll refer to some of these  
4 longer-term trends and use of scenario-based techniques  
5 to think about how the world might evolve and then  
6 consequently ask how robust is our strategy. And we're  
7 ultimately soliciting your input and assistance in that  
8 process. That's the business about how we plan for an  
9 uncertain future and how you all can contribute.

10           So to try to step through this quite  
11 quickly, and I know that you have had some schedule  
12 changes here and I do appreciate your adjustment of the  
13 agenda to accommodate this presentation. I want to try  
14 to step through those sections and make sure that we  
15 have adequate time for good discussion.

16           So, the fundamentals of planning should not  
17 be at all foreign to this group. Not only are we doing  
18 this to respond to a change in administration and allow  
19 the articulation of new priorities that have come  
20 through that a process but in terms of our fundamental  
21 long-term business responsibilities as a public

1 organization, making sure that we're well-integrated  
2 with and well-connected with the evolving needs and  
3 concerns of our stakeholder community and also able to  
4 look at the organization in the context of major  
5 long-term trends that will shape both the demand for  
6 what NOAA does as a whole but also how we we'll be able  
7 to respond to that.

8           It's also a requirement, it's a federal  
9 requirement that's on the list as a reason but I think  
10 the fundamentals are really captured in greater detail,  
11 in this slide, the benefits are well known in terms of  
12 the internal organizational alignment around a set of  
13 strategic priorities that are cross-cutting for NOAA.  
14 But this is the piece that I kind of want to emphasize  
15 here because of the nature of your function on behalf  
16 of the organization, really ultimately getting to this  
17 issue of codifying the shared priorities of our  
18 stakeholder community and of our organization as whole.  
19 We view that as a central element of this Next  
20 Generation Plan. It really exemplifies a curve or a  
21 growth path that NOAA has been on organizationally

1 ranging from a collection of component pieces in early  
2 years to recent years of trying to pull together  
3 integrated approaches to complex service requirements  
4 that cut across our line offices, cut across our  
5 different mission domains and moving into an arena up  
6 in this top quadrant that we're calling for full  
7 strategic alignment and that's one where you have, as  
8 much as is possible, a full and integrated approach to  
9 planning with other organizations, other federal  
10 organizations in many domains and other nonfederal  
11 organizations as well.

12               NOAA, as you all know, has a complex and  
13 varied set of mission requirements, many of which we  
14 can only implement through collaboration with other  
15 agencies and with a variety of different types of  
16 partners. In the brief period of time I was able to  
17 listen to some of the preceding conversation, some of  
18 those other partners were mentioned several times in  
19 the course of this discussion.

20               So, we're kind of self-consciously trying  
21 to evolve on this path, like lots of other federal

1 organizations, and this is an important point of  
2 conversation for me with our other agency partners,  
3 because many of the broad-based challenges that we're  
4 facing, environmental, prediction and forecasting  
5 challenges are increasingly complex, have multiple  
6 drivers and the national solutions really need to be  
7 national in nature. And I think that you're starting  
8 to see the broad federal enterprise trying to grapple  
9 more cohesively with some of these types of challenges.

10               So those sorts of factors have shaped our  
11 really rudimentary design criteria for the Next  
12 Generation Plan. It will have the classic attributes  
13 that you will see in terms of the document itself,  
14 mission, vision, long-term goals, nearer-term  
15 objectives on path towards those goals, and the  
16 functions and capabilities that are required to execute  
17 them.

18               But this element of really deep integration  
19 with our stakeholder community is a key piece of it  
20 that I wanted to emphasize. We're not only  
21 articulating new administration priorities, we're

1 putting it in the context of long-term trends,  
2 long-term opportunities and challenges that we  
3 collectively face. And fundamentally I believe that  
4 that's our kind of responsibility as stewards of the  
5 NOAA mission to apprise our new leadership of the  
6 long-term implications of their near-term choices. And  
7 that fundamentally is why I'm here today, is to elicit  
8 your assistance in that. So if we do move our  
9 timeframe out -- I'm just trying to go forward one  
10 slide. We're "frozen in time." I'll continue. Maybe  
11 you can see how that unlocks.

12                   But I'm going to move to the next section  
13 and really give a thumbnail sketch of some of the major  
14 trends that we're trying to include in some of our  
15 external environmental scanning, which if we go  
16 straight ahead -- let me see if this works. Very good.

17                   Just to give you a sense of the breadth of  
18 our field of view, when we talk about a 25-year future,  
19 which is the context we're setting, the external  
20 context that we're setting for NOAA's strategic plan, I  
21 use this very often. It's just a rubric for climate

1 and major environmental changes that are associated  
2 with it. And I would include with that major societal  
3 and economic changes. You're looking down here at the  
4 Arctic and I just had the benefit, and I'll describe in  
5 slightly greater length going forward of participating  
6 in a regional forum that we held in Anchorage that  
7 brought together a very diverse stakeholder community  
8 and looking at a lot of trends that are associated with  
9 or driven by changes in the Arctic climate regime over  
10 time. And, the nature of this trend is very, very real  
11 to them. In that community it's not considered to be a  
12 "whether", it's a rate question. And indeed, if you  
13 look at the Arctic Marine Navigation Commission's  
14 scenarios that they developed, four different scenarios  
15 going out 50 years, they pretty much took the same  
16 assumption. The question was rate of sea ice loss, not  
17 whether it would happen or whether it would even  
18 necessarily rebuild at some point in time.

19           The other point that I want to make, and  
20 it's a theme throughout here is that when you look out  
21 over long timeframes -- and this is going out further

1 than we are. We're kind of in our timeframe looking  
2 out to 2035. Most of the things that I'm going to be  
3 pointing to here have two common attributes. These are  
4 trends that have very high degrees of uncertainty in  
5 terms of how they will actually play out and with that  
6 uncertainty is very, very high degrees of impact. And  
7 this exists not only in environmental domains in  
8 climate where we have a lot of underlying reasons to  
9 have high degrees of uncertainty because of the nature  
10 of our difficulty of predicting these complex changes  
11 but certainly, as has been very, very heavily  
12 emphasized in the literature recently in a lot of the  
13 public debates, we should be looking at the most, the  
14 full spectrum of uncertainty and the types of impacts  
15 that are associated with the so-called tails, the "fat  
16 tails," and I may mention some of those things are  
17 going forward.

18                   Complex set of changes, all kinds of  
19 implications, not just environmental, societal,  
20 business, economic are being driven by fundamental  
21 changes in our climate. And that's one area where we

1 have to really think of different ways and different  
2 rates of evolution with different types of impacts over  
3 the planning period. There's also a lot of different  
4 kind of different sectoral trends. We kind of pulled  
5 this straight out of your own content. There's a lot  
6 of different trends that you could look; in industrial  
7 sectors, some of these sort of things are on a fairly  
8 well-characterized path but the context for the  
9 transportation industry when you look at it over this  
10 timeframe has a range of other types of uncertainties  
11 associated with it that apply to a lot of different  
12 types of businesses, international maritime governance  
13 sorts of issues, governance issues broadly construed in  
14 terms of, think of the range of disputes that currently  
15 exist in the policy arena in the Arctic that are  
16 currently being discussed, the whole array of factors  
17 that will shape the rate of demand for and the nature  
18 of the kind of structure and functioning of the global  
19 transportation industry. So that's something where  
20 your expertise could help us characterize things a  
21 little bit better.

1                   Looking and, you know, just crossing into  
2 the fisheries domain, we're putting up here just a, you  
3 know, a glimpse of some of the long-term trends in the  
4 levels of exploitation. Not only is there a great deal  
5 of uncertainty about where we're going to end up over  
6 this kind of timeframe but the other thing that I want  
7 to point out here is the global dimensions of this sort  
8 of challenge. And we often use -- I'm cutting it out  
9 here but we often use another graph that shows the  
10 adherence of nations, of the whole array of nations to  
11 the food and agriculture organizations' standards for  
12 sustainable fishing. And there's two fundamental  
13 points. Most, more than half are failing and even the  
14 best nation's including the United States are only  
15 implementing at a level of 60 percent. This is a  
16 global problem. It's a problem that's not just an  
17 environmental and management problem. It's a complex  
18 governance problem as well.

19                   Other aspects of the climate domain, global  
20 precipitation levels. We're looking at drying trends,  
21 warming trends, great deal of uncertainty out of our

1 timeframe in terms of weather impacts of climate as  
2 well as natural variability and also really key  
3 economic sort of factors. And I'm just wanted to  
4 mention a couple of things here. I want to make sure  
5 that we are looking, when we look out over this time  
6 period, not just at environmental trends, not just at  
7 trends that are rather narrowly directed at NOAA's  
8 mission functions, like our fisheries management  
9 functions, but at the broaden environment that NOAA  
10 exists in as an organization, huge degrees of  
11 uncertainty about how the global demand for and supply  
12 of energy will evolve over this sort of time period,  
13 not just environmental impacts, significant economic  
14 ones as well.

15           And one of the other key things that is  
16 really a daily issue for all of us in a way that you  
17 might not have expected a year ago is the rate and  
18 direction of our response to what's been one of the  
19 most profound economic dislocations that we have seen  
20 in many decades. We're looking at here at the kind of  
21 long-term trend in the Dow, and every time I do this

1 briefing we update this number and it started, when I  
2 first did this we were in the 9,000 territory and we  
3 went down to 6 and now we're back up to 74. It's  
4 actually hit 80 recently. It's moving all over the  
5 place. High degree of uncertainty in terms of the near  
6 term but I'm really looking at the long-term trend  
7 here. You've got your tech bubble collapse, housing  
8 bubble, major collapse there. The nature of the  
9 response is unprecedented. We have had something on  
10 the order of more than 7 trillion in wealth erased  
11 during this time period in the U.S. economy alone. On  
12 a global basis it's considerably larger than that. We  
13 have had unemployment loss at a more rapid rate than  
14 any other recession since the Great Recession. So  
15 about, the last I looked, 3.2 percent of all jobs in  
16 the United States have actually been lost during this  
17 time period from October of '08. And they've evolved  
18 in such a way that a lot of economists are looking not  
19 just at job declines but firms are exiting entire lines  
20 of business and it creates a great deal of concern and  
21 question about the composition of economic growth out

1 of this path. It's not just going to be rebuilding  
2 inventories, rehiring an existing kind of industrial  
3 footprints. And traditionally when we've gone through  
4 these type of dislocations in the past it has really  
5 been an innovation-driven, sort of change in the  
6 composition of the economy that's pulled us out,  
7 whether it was the tech-lead thing or the  
8 innovativeness of the financial services sector in  
9 these two bubbles. We are hoping that we get the  
10 regulatory regime right in a way we don't have a  
11 bubble-lead inflation but a genuine innovation, but a  
12 genuine innovation and growth-driven path out of this  
13 which might have a significant environmental dimension  
14 to it.

15                   A couple of other key aspects of this.  
16 It's not just the composition of economic growth and  
17 what type of economy with what type of energy use  
18 patterns and what type of environmental implications,  
19 significant uncertainty there but also a considerable  
20 uncertainty on our favorite topic, Washington, which is  
21 the budget, our fiscal posture at the federal level, a

1 major contextual factor for NOAA and any federal  
2 organization.

3                   This was CBOs recent estimates versus the  
4 President's, a lot of debate about your growth  
5 estimates. But the big thing to me is just the  
6 profound level of decline that we're having here.  
7 Looking at deficits on the level of 12 percent of GEP  
8 (phonetic) is a really unprecedented level and again  
9 this just creates a little bit more of a focused type  
10 of uncertainty about the path out of here. We have  
11 always lived in an environment and NOAA has lived for  
12 many years in an environment of constrained resources.  
13 The entire federal government is on a path right now  
14 that needs really some fundamentally different ways of  
15 really thinking about the allocation of public  
16 resources, and a great deal of uncertainty again about  
17 how that is going to evolve.

18                   The other aspect of this economic decline,  
19 that's very interesting, too, brings in another  
20 dimension that we're trying to look at, which is social  
21 attitudes towards the type of things that NOAA responds

1 to. And this is just again a quick rubric to give you  
2 a sense of the level of uncertainty and significance of  
3 public attitudes. Well before the collapse of the  
4 current recession, you were seeing a distribution where  
5 at least environmental issues, which were using  
6 roughly, as I guess it's kind of a surrogate level of  
7 interest in types of things NOAA does, was at least in  
8 the top ten. And we are always, we have been  
9 monitoring this for many years. It never gets into the  
10 top three. But one of the things you've seen in the  
11 recent environment starting in September, it completely  
12 dropped off the list. You have had a change in the  
13 composition of the top-tier stuff from foreign to  
14 domestic issues, and really the whole focus here  
15 is where you would expect it to be.

16           In that kind of context it does raise  
17 questions about the nature of society's interest in and  
18 both ability, willingness, awareness and attentiveness  
19 to the types of issues that we're trying to address.  
20 Again, high degree of potential impact on the  
21 organization, very uncertain evolution.

1                   You could broadly put these things -- you  
2 grabbed me twice there -- you could put these things on  
3 a variety of different spectrums and I'm just putting  
4 this up to indicate the breadth of our thinking and the  
5 range of potential outcomes, not just on economic  
6 factors but also energy demands, supply, what the  
7 actual rate and direction of environmental indicators  
8 related to climate and others are, management  
9 practices, governance regimes. You can look at one  
10 extreme to another and they're equally plausible.

11                   And all of these can interact in complex  
12 ways, even over the limited time period that we're  
13 looking at, 25-year time period. All of them are  
14 significant to the organization and we're sitting here  
15 with a strategy that at the highest level looks like  
16 this, with our current mission-vision and set of four  
17 mission goals and underlying infrastructure goal. And  
18 the question sort of that we need to answer for this  
19 incoming team is, do we have a robust strategy? Are we  
20 well prepared to deal with these types of factors as  
21 they might evolve over time?

1                   And our approach to doing that I hope would  
2 benefit from your contribution along with many others  
3 on these three fundamental questions. These are the  
4 questions we're asking ourselves. We are putting these  
5 questions out to our staff, to different levels of our  
6 management and leadership, to our advisory committees,  
7 our external stakeholders at multiple levels, and not  
8 just in Washington.

9                   We're going around regions -- as I'll  
10 describe in a minute -- to try to get a really robust  
11 sense of what people are really concerned about, how  
12 well are we thinking about long-term trends, question  
13 one, that will shape our future, what kind of things  
14 are relevant to you and your industry, you and your  
15 line of work and what do you think that creates in  
16 terms of opportunities and challenges for NOAA in it's  
17 its line of business or the NOAA-related component of  
18 your domain, and fundamentally at the end what do you  
19 think the NOAA should start to accomplish over this  
20 time period, what fundamental outcome should we be  
21 pushing, not just what are our fiscal needs, what

1 service needs need to be enhanced but what will be the  
2 fundamental impact of that on society, on economy, on  
3 environmental conditions that we're trying to affect.

4           And this is really a starting point for  
5 thinking about the long-term trends but also starting  
6 to frame what's the range of potential response  
7 strategies that NOAA can consider, both long-term and  
8 then in the five-year period leading, kind of our step  
9 in that direction.

10           So given this timeframe, 25-year timeframe,  
11 and the high degrees of uncertainty on all those  
12 different dimensions that I was talking about, how do  
13 organizations cope with that? And, we're adopting an  
14 approach to at least cultivate long-term strategic  
15 thinking both within the organization and with our  
16 stakeholders that is rooted in a scenario planning  
17 methodology that's quite well developed in a variety of  
18 different sectors, been around for decades. It is just  
19 a starting point of our planning process, a way to deal  
20 with complexity and uncertainty over long timeframes.

21           Nobody can predict the future. We're not

1 trying to come up with alternative predictions or  
2 define the probability space. We're trying to create  
3 challenging ways of thinking about how the world might  
4 actually evolve and then looking at our strategy  
5 against that. It's a kind of a business discipline, if  
6 you will, that allows us to grasp these types of issues  
7 and be able to constantly monitor, decide what to  
8 monitor, monitor things over time and understand what  
9 the potential range of impact might be for the  
10 organization.

11 I also think, personally, I don't have it  
12 up here but scenarios can also be a very powerful  
13 device for casting the relevance of an organization's  
14 work. Many of the choices that we make now have a  
15 significant bearing on what direction many of those  
16 trends actually go in. And that's part of what I think  
17 this type of scenario discipline can help us do as  
18 well.

19 I borrowed this thing from The World Bank,  
20 that's also used as a mechanism and has developed some  
21 very, very interesting material about the rate and

1 direction of issues related to global economic  
2 conditions and societal conditions that they address.  
3 And this very nicely captures in one shot how to think  
4 about scenarios, again, that they're not really trying  
5 to define probabilities, they're not what we want to  
6 happen in the future, which is a very common bias in  
7 planning. You cast the future in the terms that you  
8 would really fundamentally like to see; they're kind of  
9 normatively-driven. They're not really driven by a  
10 theoretical construct. They're really trying to  
11 explore the range of the possible. They're plausible  
12 stories about how these complex sets of variables can  
13 fit together in a logical way. There's plausibility  
14 tests. You want to be looking at things that are  
15 realistic, not wild, out of the box, wild card kinds of  
16 scenarios but things that are really within the range  
17 of our knowledge.

18                   You could see atmospheric carbon  
19 concentrations going in different directions based on a  
20 variety of different trends. Well, what's the range  
21 that's plausible? Likewise you could look at things

1 like we were talking about earlier, sea level rise,  
2 rate and direction of Arctic and Antarctic ice loss and  
3 things of that nature, and think through their  
4 implications, again within the realm of the possible.  
5 And that's mainly the goal. They are exploratory and  
6 they're used to really test hypotheses and really  
7 challenge our own conventional thinking about how the  
8 world is or should work.

9           A very common technique that's used, Shell  
10 was one of the early well-known adopters. Their  
11 scenarios are quite central to their long-term planning  
12 and they use them in public fashion and you can get  
13 access to these, that they use to really try to drive  
14 home the implications of choices that we make now about  
15 long-term energy use patterns and their kinds of  
16 societal, environmental and economic impacts. They  
17 have these two scenarios, one scramble and one that's  
18 blueprints, where there is concerted action, starts in  
19 the near-term, and that helps them think systematically  
20 not just through the range of things that will shape  
21 energy use patterns in the future and constantly the

1 environment that Shell will work in and what the energy  
2 sector will look like twenty, thirty years out. It  
3 also allows them to have the type of stakeholder  
4 engagement that we're talking about so people  
5 understand what their kind of collective interests are,  
6 if you will, in the energy domain.

7           Looking closer to home in a sense in terms  
8 of federal government, the National Intelligence  
9 Council every four years does a broad-based  
10 geopolitical, environmental -- geopolitical set of  
11 scenarios that they use for the geopolitical briefing  
12 for the incoming administration. This was developed  
13 for the, what eventually became the Obama  
14 Administration. It was indeed used as some of the  
15 fundamental briefing material to put some of their  
16 choices in terms of both foreign and domestic security  
17 into context. And there's very interesting -- I highly  
18 encourage you to look at these, the very interesting  
19 actually environmental dimensions. And there's a lot  
20 of concern here about the impacts of long-term  
21 environmental changes and what that might mean for

1 international security, domestic political stability in  
2 different parts of the world.

3           Just examples, all oriented towards in  
4 different organizations, fundamental questions, how do  
5 they help you answer a question; we're using the  
6 scenarios to answer, what should we really be targeting  
7 as our range of kind of our vision for the future and  
8 casting of our mission and our long-term goals and what  
9 should we be doing in the next five years with that  
10 long-term view of the future in mind. That's what  
11 we're trying to get to and the scenarios are a starting  
12 point to do that.

13           We have spent some time inside the  
14 organization, crafting some scenarios. We're going to  
15 make them available. They're in kind of final edit  
16 stage now. This and some of the backup material in my  
17 slides, which are available to you, sort of cast what  
18 they are and they range -- we give them titles that  
19 help you remember sort of what the dynamics are but  
20 they range from a scenario where we're looking on  
21 different, different sort of axes of how the world

1 might turn out, economic, kind of in terms of  
2 governance regimes and in terms of kind of societal and  
3 environmental interactions. Those are all relevant to  
4 us. And we looked at different combinations, used a  
5 cross-cutting team inside the organization representing  
6 our different lines and kind of different mission  
7 domains to think about how the world might evolve and  
8 to develop these sort of plausible scenarios that we  
9 could then use as a reference point for our thinking  
10 about the future.

11                   And they show things from, ranging from  
12 efforts to really concentrated efforts to develop smart  
13 growth types of patterns, as we're sort of broadly  
14 calling them, and a lot of investment alternative  
15 energies, sample production modes but still in  
16 particularly over the mid to the long-term piece of the  
17 scenario, still the very considerable climate-driven  
18 environmental disruptions and dislocations that create  
19 the fundamental questions about change in strategy at  
20 the national and international level.

21                   We have another one that we've broadly

1 labeled Green Chaos, where we have an interesting  
2 convergence of fundamentally private sector motivations  
3 to invest in alternative technologies in sort of new  
4 sectors that are, could broadly be construed as green  
5 in a sense but you don't get any considerable  
6 development, unlike, in Too Little, Too Late, at the  
7 opposite end of the spectrum you don't have a lot of  
8 cohesive action at the international level and among  
9 the different levels of government and governance in  
10 the United States and so you have a very limited kind  
11 of domain for policy-driven coordination on  
12 data-sharing on a variety of other observation-related  
13 environmental scenes. And you have a nice convergence  
14 of societal and private environmental, environmentally  
15 beneficial private actions even though there's a fairly  
16 disorganized governance, sort of response to that.

17           And Carbon Junkies, I guess you could  
18 consider the darker of the scenarios where the nature  
19 and depth and prolonged nature of the economic downturn  
20 kind of forces a reversion on a global basis towards  
21 really kind of a reindustrialization where you have

1 particularly in other parts of the developing world,  
2 very strong and high rates of growth on an industrial  
3 pathway quite similar to the advanced industrial states  
4 and no pricing and very little attention to some of the  
5 environmental spill-over benefits and you start to see  
6 some fundamental impacts from that mid to late in the  
7 scenario as a result.

8                   So that's just a very unsatisfactory  
9 thumbnail sketch. I've got some slides in the back  
10 that provide a little bit more depth on each of those.  
11 And I'm going to talk about probably how the panel here  
12 can weigh in not just on these long-term trends but  
13 also really what you think NOAA should be thinking  
14 about and setting as our long-term goals.

15                   We are at an early phase in our five-phase  
16 development of a plan. We're right here in the spring  
17 where we're trying to connect not just with our  
18 internal leadership but also with our advisory  
19 committees, cooperative institutes, all kinds of formal  
20 and semiformal external stakeholders. We're also  
21 having our regional teams conduct stakeholder sessions

1 in the field so we get regionally distinctive views of  
2 trends and potential implications for the organization.  
3 We've got a synthesis phase inside the next, in the  
4 summer and these timelines will likely, you know, these  
5 hard lines are likely to be, we'll probably, we'll be  
6 gathering input I'm sure in this kind of analysis  
7 phase.

8                   We're going to be trying to cast the  
9 fundamentals of the plan here and then going back out  
10 to all the sources of input with the document itself so  
11 we can have a final review and a great deal of the  
12 formal usual forms of external coordination but we want  
13 to make sure we're hearing at the front end as well  
14 about what we should be considering and then you will  
15 be able to see where it came out at the end and have a  
16 point of comparison to the comments.

17                   This next slide really just shows how the  
18 documents evolve. And I really want to get to quickly  
19 a couple of points here. We're going to use all these  
20 sources of input including from our advisory committees  
21 as they are inclined to engage and then we're going to

1 have this review process where we also include this  
2 entire community in the public review phase. And it  
3 really comes down to I think these options for you to  
4 consider. It's back to our three questions here. You  
5 can participate either directly. We're putting up a  
6 Web-based mechanism for soliciting input from people  
7 directly or as groups on those three questions. You  
8 can also participate directly in regional events if  
9 you're located in different parts of the country to  
10 help us address those three questions.

11                   As I indicated, we have crafted a more  
12 extensive scenarios document and for those of you  
13 really interested in getting into system of the  
14 in-depth dynamics in thinking about those things,  
15 there's also the opportunity to look at that document  
16 and comment on it as and then fundamentally at the end  
17 during the formal review phase.

18                   These are not mutually exclusive things. I  
19 would assume at a minimum that you all would want to do  
20 the formal commentary process but I certainly would  
21 encourage you to think about providing your input

1 either collectively or individually in this front-end  
2 process so we can make sure that we're taking into  
3 consideration the sorts of things that you all have  
4 focused on in your lines of work in the same sort of  
5 context.

6                   That's fundamentally how I wanted to leave  
7 things today, with that in a sense open invitation to  
8 contribute to this process and I look forward to any  
9 types of questions you may have about how this could  
10 work and how we could make the interaction mutually  
11 productive. Thank you.

12                   MR. SKINNER: Thanks very much, Paul. As  
13 we sort of listened to various stakeholders and have  
14 presentations, we start drilling down on the issues  
15 that are presented to us. So it's very useful to be  
16 brought back and in effect be forced to think about,  
17 not against our will but think about the broader  
18 picture and in some ways, different ways of looking at  
19 not only what NOAA is dealing with but how NOAA is  
20 thinking about the future. So that's very, very  
21 helpful. Thank you. Any questions or comments for

1 Paul? I think we're still processing a lot. That's a  
2 lot of information.

3 DR. DOREMUS: It is and there is, you know,  
4 this is available and, you know, I think some  
5 reflection on the scenarios themselves as individuals  
6 sort of think about what are some of the major trends  
7 that we're considering can be a very helpful thing.  
8 When I talked to our science advisory board and  
9 presented very much the same -- it was really quite  
10 similar to this, just changed a little bit of the  
11 external trends that we happened to highlight -- we're  
12 asking them to contribute to the same questions.

13 And, interesting, there were a number of  
14 folks on our science advisory board that is our  
15 advisory board that probably has the broadest scope, if  
16 you will, of all off advisory boards. They were very  
17 interested in how you can use scenarios to think about  
18 what several of them are calling nodal points and  
19 really strongly encouraged to use this kind of dynamic  
20 and way of thinking in broader policy discussions. A  
21 lot of folks are really grappling -- and I got this as

1 well from our Cooperative Institute Directors -- are  
2 grappling with the issue of complexity in a lot of the  
3 types of conditions that we're referring to here, and  
4 about the significance of some of our near-term policy  
5 choices on these long-term trends. So it is a, it's a  
6 challenging thing to do and I have been sort of  
7 encouraged by a number of folks to take this and this  
8 mode of thinking into these broader policy domains. It  
9 might be something that would be helpful looking at the  
10 broad array of demands for hydrographic services from  
11 multiple -- as I was talking with Steve earlier today  
12 -- from a whole array of different types of users and  
13 think how that composition of demand could change over  
14 time, think about how the technologies could evolve  
15 over time, think about how the types of organizations  
16 that could be involved both in producing or  
17 distributing information that helps to possibly fill  
18 some of these gaps in the future. It can be a very  
19 helpful way to think about with high degrees of  
20 uncertainty again and very significant service domains  
21 with high impact to think about how the world might

1 evolve. And there are ways for us to sort of capture  
2 that from this group either at a collective or an  
3 individual level or at least start participating in  
4 that type of discussion, I think it would be beneficial  
5 for us for sure.

6 MR. SKINNER: We normally do a meeting  
7 summary in the form of a letter to the NOAA  
8 Administrator and try and capture some of the comments  
9 and recommendations that we've heard from the  
10 stakeholder panels as well as the overall  
11 recommendations from this panel. And, I don't know if  
12 that would serve as a way to convey some of the  
13 information that this panel gets or recommendations  
14 that we have for the planning purposes or if there's  
15 another mechanism. I'm not quite sure how we plug in  
16 to your process.

17 DR. DOREMUS: There's, you could provide  
18 input directly through our kind of Web-based link or  
19 through any of these stakeholder events or any other  
20 manner of your choosing, which includes communicating  
21 directly to the NOAA Administrator, which I certainly

1 wouldn't discourage you from doing. We would certainly  
2 get that through that channel as well. And I think  
3 that's an appropriate level for this panel to be  
4 conveying their long-term views and concerns about.

5 MR. SKINNER: Can we "cc" you on our  
6 letter?

7 DR. DOREMUS: Absolutely.

8 MR. SKINNER: Okay.

9 DR. DOREMUS: Yes.

10 MR. SKINNER: And I think that for the  
11 panel that the idea of thinking about what is likely to  
12 happen in the future, we tend to focus or we have been  
13 focusing on sort of the current situation with our  
14 stakeholder panels. And I think you brought up a good  
15 point about thinking about what some future needs might  
16 be and what some future, not just needs based on what  
17 currently is going on but how technology and industry  
18 and commerce and other disciplines are going to be  
19 evolving, thinking about that a little bit more as we  
20 come up with recommendations. So I think that was very  
21 helpful to sort of raise that issue.

1                   DR. DOREMUS:  Indeed, and I actually have a  
2 reason for emphasizing the technology piece.  In my  
3 personal view I think that's one area where NOAA could  
4 learn not the most but could do a much better job than  
5 we did with our fairly short process of developing  
6 these scenarios.  The one area where I feel like we did  
7 not do as good a job as I would have liked to have seen  
8 is in really thinking, I mean, over a 25-year time  
9 period thinking about the range of different  
10 potentially disruptive technology developments.  And I  
11 mean disruptive in a sort of just change sense, not in  
12 a pejorative sense at all.

13                   And we have been benefiting enormously from  
14 talking to people in a variety of different  
15 technology-intensive domains about how things might  
16 evolve that would affect our, you know, the nature of  
17 earth-observing, the ability to assimilate information  
18 to model, to get predictive information out to people  
19 and connected to people in ways they can assimilate and  
20 use it readily and quickly, and, in a simple sense our  
21 kind of core line of business.  And that's one area

1 where I would really encourage people to focus, that I  
2 think that we would really benefit from. Certainly  
3 there's others that are particularly sector-specific  
4 but that's one that I think would be something that I  
5 would personally feel like we'd have a lot of  
6 opportunity to incorporate in our trend analysis.

7 MR. SKINNER: You missed this comment from  
8 this morning but maybe NOAA can be a paperless agency  
9 by the year 2015. Any comments or questions? I think  
10 -- Admiral West and then --

11 ADMIRAL WEST: Paul, when does the new  
12 administrator, when does the new administration see all  
13 this and when do they get their input to this? I mean,  
14 Obama's made a big deal about I'm going to use science  
15 instead of politics to make decisions now.

16 MR. PAUL: Yeah.

17 ADMIRAL WEST: And I never saw where you go  
18 back to Jane or the new Commerce Secretary or OSTP or  
19 wherever and say are we on the right track as far as  
20 the Administration is concerned.

21 MR. PAUL: Yeah.

1                   ADMIRAL WEST: Or do you do that and then  
2 hope it's okay?

3                   MR. PAUL: Well, we got a lot of this in  
4 motion really trying to prepare the organization to  
5 move quickly in responding to new administration's  
6 policy priorities and trying to inform them. I view it  
7 as in a sense a dialogue. And we have had initial  
8 discussions with the new administrator, with Dr.  
9 Lubchenco. I'm meeting with her formally on Friday.  
10 And, I think she broadly supports this process. And  
11 one of the things that I can't promise but would like  
12 to see, right now up to this point in time we have been  
13 able to go out and we have focused on going out, with  
14 what is fundamentally a pretty inductive process.  
15 We're in a learning mode about what the potential  
16 challenges are and what NOAA should strive to  
17 accomplish. It could very well be the case that there  
18 are fairly well-formed or at least formative, a very  
19 strong sense of strategic direction that's coming out  
20 of this administration. I think it's been fairly  
21 well-articulated in the climate domain. It has

1 implications across our entire mission portfolio and  
2 it's quite possible we might be able to get some fairly  
3 well-cast signals that not only do we go out in  
4 regional events and through other types of engagements  
5 and ask these open-ended questions but we also ask how  
6 would this type of response serve these longer-term  
7 trends and challenges.

8                   It remains to be seen how quickly that gets  
9 cast but it might at minimum get cast through this  
10 year-long process of reframing our strategy. I think  
11 there are some statements that Dr. Lubchenco already  
12 has made that indicate a lot of concerns that she has  
13 not just on climate-driven issues but a range of other  
14 fundamental NOAA mission responsibilities.

15                   So we may have a little bit more  
16 articulation as her team gels. She's in place now but  
17 the rest of the team is not. We don't have an  
18 Assistant Secretary. We don't have Deputy Assistant  
19 Secretaries, and I think we're still in kind of a  
20 formative phase as far as the new administration goes.  
21 She's been in place for three weeks now barely. This

1 is her third week, I think. So, but we fully, we're  
2 going to get a very concentrated sense of the pace and  
3 direction that she would like to take this starting  
4 this week. Did that satisfactorily capture your --  
5 yeah.

6 MR. WELCH: Paul, Ed Welsh. Does your  
7 strategic planning for 25 years out assume as a given  
8 that there's going to be a NOAA in 25 years or there's  
9 going to be a Department of Commerce?

10 DR. DOREMUS: Some of our scenarios look at  
11 different things. It's interesting you say that. We,  
12 in a couple of our scenarios there is the complete  
13 reconfiguration of federal environmental agencies into  
14 a Department of the Environment where in that context  
15 NOAA in a sense could be thought of losing its current  
16 or distinct organizational identity. And we also  
17 thought about in the variety of our discussions and our  
18 internal scenario development about areas where NOAA's  
19 success could in effect put it out of business, as it  
20 were, where we'd see a change in the composition of  
21 those services that we developed and delivered, as

1 other types of attributes and capabilities develop in  
2 other organizations and in other sectors.

3                   So, yeah, we are thinking about that and if  
4 there are areas where the current provision of services  
5 can be done more efficiently, effectively or at least  
6 at an equal level of quality at a lower cost by other  
7 organizations, it's our fundamental public  
8 responsibility to make that happen. You are already  
9 looking in our own domain of hydrographic services at  
10 mixed models of, in a sense mixed private-private  
11 models of asset use and of survey and date-of-delivery  
12 types of technologies. That mix could change over  
13 time. It's something we should be thinking about.

14                   MR. WELCH: Well, thanks for that answer.  
15 And I don't mean to be too, throw too much cold water  
16 over your process but, you know, if you look back 25  
17 years as opposed to looking forward 25 years and you  
18 say what would people have said were scenarios in 1984  
19 for what is happening now, people would have missed a  
20 lot of boats.

21                   DR. DOREMUS: Absolutely.

1                   MR. WELCH: And people would not have  
2 probably anticipated the huge rise in the Hispanic  
3 population of the United States and, you know, personal  
4 computers and the Internet, that wouldn't have been on  
5 most people's list of scenarios. So, you know, 25  
6 years is a long way to predict. I mean, a decade or 15  
7 you know, trends in motion now are likely play out and  
8 that type of thing.

9                   DR. DOREMUS: Right.

10                  MR. WELCH: But all sorts of intervening  
11 events that nobody predicts are going to happen between  
12 now and 25 years, nobody would have, you know, ten  
13 years ago nobody would have predicted the whole federal  
14 government would have reorganized itself into a massive  
15 Department of Homeland Security. So, you run some risk  
16 about focusing too far out.

17                  DR. DOREMUS: Yeah, that's a point that we  
18 certainly appreciate and there's debates about how far  
19 out do you go. But a key thing that I want to  
20 emphasize in response to your question is that I don't  
21 think any of these scenarios are actually going to

1 happen. The bigger point is there is no way to assess  
2 any degree of probability to any of them. And, they  
3 are not intended to be predictions and I wouldn't  
4 expect 25 years from now to actually see -- you know,  
5 it's possible, it's plausible we could see something  
6 that would have key elements of one or another of these  
7 scenarios but the point is to challenge our thinking in  
8 a lot of fundamental ways, not to predict the future  
9 but to think about what are the forces that will likely  
10 shape the future.

11                   And, one thing that will help NOAA do --  
12 and I'm saying this as NOAA's planning director -- that  
13 I think we could do a much better job at, we don't  
14 systematically analyze and have a methodology for  
15 discerning what trends we should monitor and track over  
16 time. It's big world with a whole lot of different  
17 factors. These scenarios will help us sort of tease  
18 out major trends, major dynamics, some of which we want  
19 to try to affect, change how they might evolve, reduce  
20 the degree of uncertainty associated with certain  
21 environment predictive phenomenon for one instance.



1 said. Do you think NOAA is organized today to do what  
2 you just said?

3 MR. PAUL: For The strategic flexibility  
4 point? I don't really know and I think that --

5 ADMIRAL WEST: Well, I will suggest to you  
6 that NOAA needs to reorganize.

7 MR. PAUL: That might well be the case.

8 ADMIRAL WEST: No, I really firmly believe  
9 this. If you're going to pertinent and relevant, first  
10 of all, are you going to pursue an Organic Act for  
11 NOAA? I mean, what is the strategy with you and  
12 Commerce, is the role of NOAA? Are you going to get  
13 involved in climate change? If you are, then you're  
14 not structured correctly now.

15 MR. PAUL: Correct.

16 ADMIRAL WEST: And if you don't start  
17 making these moves now, then it's business as usual for  
18 the next term.

19 MR. PAUL: Yeah.

20 ADMIRAL WEST: And that's really all you  
21 can look, I think, is, you know, in the next four to

1 five years or so. But, so that's why I asked. What is  
2 coming down from above, too, from the folks that will  
3 support whatever you want to do?

4 MR. PAUL: Yeah, we're trying to put that  
5 together. And, I think that there were two key things  
6 that you said and they both were preceded by an "if".  
7 The organizational piece to me follows from the answers  
8 to the "ifs." It's an implementation of a strategy and  
9 we're really trying to get that strategic focus to  
10 allow us to then say how well are we organized to  
11 implement.

12 ADMIRAL WEST: Do you, maybe you know, has  
13 NOAA been directed to be, to establish a climate  
14 service by either the Administration or Congress? I  
15 saw some language and I can't remember where I saw that  
16 that was in fact the case.

17 DR. DOREMUS: On the administration side,  
18 on behalf of the administration, Dr. Lubchenco has  
19 committed to establishing a National Climate Service,  
20 and starting at least with NOAA recognizing that it's a  
21 multiorganizational requirement for the federal

1 government as a whole. On the Hill there's been a lot  
2 of provisions and statutory proposals but nothing yet  
3 passed that formerly establishes a National Climate  
4 Service in that kind of manner. It's in process right  
5 now.

6 ADMIRAL WEST: So you think it's  
7 inevitable?

8 DR. DOREMUS: I think it's highly likely.

9 ADMIRAL WEST: Okay. Then that ought to be  
10 driving what you're looking at in what you're looking  
11 your strategic --

12 DR. DOREMUS: It's driving a key piece of  
13 it --

14 ADMIRAL WEST: -- which means reorganization  
15 --

16 DR. DOREMUS: A very, very substantial  
17 piece of it. Yes.

18 MR. SKINNER: Other comments or questions?  
19 Paul, thanks very much. We appreciate your taking the  
20 time. We know your schedule is very busy.

21 DR. DOREMUS: It's a great pleasure and I

1 certainly want to extend an open invitation for any of  
2 you to connect with me directly, follow-on, on the  
3 aspects of this, as your thinking evolves. And please  
4 don't hesitate to do that. I'm easily reachable at  
5 night.

6 MR. SKINNER: Oh, you don't know what  
7 you've just said.

8 DR. DOREMUS: I meant it.

9 MR. SKINNER: Thanks very much.

10 DR. DOREMUS: Thank you.

11 MR. SKINNER: We appreciate it.

12 (Applause)

13 MR. SKINNER: Juliana, I think you're up  
14 next if you're ready to go.

15 MS. BLACKWELL: I'll walk slowly.

16 MR. SKINNER: Yes, walk very slowly.

17 MS. BLACKWELL: Well, I have only, I have  
18 about twenty minutes' worth of things to go through so  
19 it shouldn't, maybe even shorter if I can flip through  
20 some slides quickly. I'm Juliana Blackwell. I have  
21 been the Director of the National Geodetic Survey since

1 January. I have been with NGS for, officially since  
2 1996 so I have been here in a capacity but it's been a  
3 different perspective for me stepping into the director  
4 role. So, I'm pleased to be here and I just want to  
5 give you a few updates on things that we have done and  
6 are working on in NGS currently.

7           Okay. I just want to give you a brief  
8 update on the NGS strategic plan. This has probably  
9 been mentioned, since it's been in draft since last  
10 year, it has probably been mentioned at the  
11 previous HSRP meetings but I just want to give you a  
12 little status update.

13           What we've done here within the National  
14 Geodetic Survey is look at a three to five year  
15 outlook, not quite the 25 years but we do have a ten  
16 year plan, which is what's driving our strategic plan,  
17 and which is something that we'll be looking at on a  
18 yearly basis to make sure that we are focused on the  
19 things that we say that we're going to, our goals that  
20 we have put forth in the ten year plan. Again that's  
21 also something that we did over the last 18 months as

1 an organization, getting feedback from our stakeholders  
2 and our users and our internal offices that we work  
3 with, trying to outline what our big goals for the next  
4 ten years, and I'm going to go through briefly but I  
5 just want to give you an update.

6           The strategic plan is a two-page document.  
7 If you haven't seen it, it's available on our Website  
8 and the link is posted here. You're more than welcome  
9 to take a look at that and provide comments if you  
10 like. The comments, we're trying to get this wrapped  
11 up by the end of the month so if there's something  
12 majorly wrong that you like to comment on that be  
13 great; otherwise, we have a 60-page document which you  
14 probably do not want to look through but that's more  
15 detailed about our ten year plan.

16           We've discussed this internally recently  
17 and we're trying to not only use this to guide our  
18 organizations but make sure that all of our employees  
19 are engaged in supporting some of these major efforts  
20 that we have underway and identifying that within their  
21 performance plans, so, trying to get more of the

1 workforce engaged in moving forward and moving into the  
2 new ways of doing business to make sure that we can  
3 accomplish the goals that we have set forth.

4           Okay. We're just going to go through these  
5 next four slides, just click through the next three or  
6 four. What I wanted to show here, and it will  
7 culminate in the next one, is that in the National  
8 Geodetic Survey's ten year strategic plan, all the  
9 different Five Most Wanted things from the HSRP  
10 recommendations and the reports, that was published in  
11 2007, are intertwined in the major things that we have  
12 set forth, modernizing the geometric or the horizontal  
13 datum. And when you see that think back to the real  
14 estate laws of location, location, location. Building  
15 on what Dave Nemerson said earlier this morning, the  
16 geopotential or the vertical datum, that's the  
17 elevation, elevation, elevation. So we're really  
18 looking at the two ways of, the two positional things  
19 that we do in support of the National Spatial Reference  
20 System, modernizing those reference frames, being able  
21 to make them more accessible and more available to

1 support the navigation and the hydrographic survey as  
2 well as all the other components of spatial positioning  
3 and monitoring and observations that we have multitudes  
4 of stakeholders and customers that need to have that  
5 information.

6           The third one, being migrating the coasting  
7 mapping program into more of an integrated ocean and  
8 coasting mapping program, the, you know, "map once used  
9 many times" motto, and the fact that we're working with  
10 other federal agencies as well as internally to make  
11 sure that we get the most efficient use out of our  
12 technologies and our resources so that we can provide  
13 the data to others for them to be able to build on in  
14 the future.

15           Evolving core capabilities and increasing  
16 our agency visibility, I would say internally as well  
17 as externally as far as the visibility, and all of  
18 these different things that we've set forth in our ten  
19 year plan all link back into the main, the Most Wanted  
20 things that we talked about already today in the HSRP  
21 report.

1                   Next, so just some specific details on the  
2 major, some of the major programs and initiatives that  
3 we have going on in NGS. In conjunction with many of  
4 our partners, some of whom are here today with the  
5 Spatial Reference Centers, and other universities and  
6 state agencies, NGS's Height Modernization Program,  
7 although not, when we talked about the budget earlier,  
8 that there's not the same level of funding that's  
9 happened in the past. We do have a growth in the  
10 number of partnerships that we have ongoing. We have  
11 17 different states as well as other interested states  
12 that are involved in height modernization in being able  
13 to move into more of a global navigation system arena  
14 in order to provide positioning and spatial  
15 information.

16                   Recent accomplishments, we last year in  
17 September, end of August, we had a National Height  
18 Modernization Forum that was held in Florida. We have  
19 also done a lot with our training program. We have  
20 outside of Fredericksburg, Virginia in a place called  
21 Corbin, we have a small training center where we are

1 bringing not only internal users and partners in NOS  
2 but a lot of outside users in to train them on our  
3 services and products and opportunities for them to  
4 look at the things that we do and give us feedback on  
5 our software, our guidelines, our processes for doing  
6 not only observations but processing of our data and  
7 linking that more into not only the Geodetic but also  
8 into more of a, tidal datum reference frames, and  
9 bringing those things together more so this, today than  
10 we've done in the past, and working with CO-OPS and  
11 Coast Survey to accomplish a lot of things including  
12 some of the field procedures, workshops that we have  
13 been involved with and also workshops on leveling, and  
14 some of the more geodetic or land-based surveying  
15 applications that we do.

16                   Next, so one of the biggest initiatives  
17 that we have going on now is called GRAV-D, and this is  
18 really the next generation of positioning for elevation  
19 information. This is basically a model that's being  
20 done with an airborne gravity collection and  
21 ground-trooping it to ground terrestrial gravity

1 observations.

2                   This is basically, this project plan is  
3 also available on the Website. It's a, I think, quoted  
4 as a 38.5 million dollar project over a ten year time  
5 period, basically being able to provide a model that's  
6 going to be accurate to one to two centimeters so that  
7 you could use a system such as a GPS in conjunction  
8 with other global satellite navigation systems to  
9 provide an elevation that would be good to one to two  
10 centimeters if you do the right types of procedures,  
11 basically eliminating or reducing the need to do a lot  
12 of the traditional ways of doing leveling, line-of-site  
13 leveling that was done to create the current vertical  
14 datum, the NAVD-88, which folks from the Corps of  
15 Engineers and anybody that does work regarding the  
16 elevations is aware.

17                   The earth is changing. We've talked about  
18 isostatic rebound. We talked about some science.  
19 We've talked about erosion and the fact that, you know,  
20 we're pretty job secure right now because we know  
21 there's enough movement around that we're going to have

1 to go back out there and revisit a lot of these  
2 different places. But we want to be more efficient and  
3 we want to be smarter in being able to produce products  
4 that will enable people to get elevations and position  
5 information quickly and more accurately than ever  
6 before. And so GRAV-D is one of the big initiatives  
7 that we have going and it's really the technical  
8 realization of height modernization in a sense and  
9 we're doing this at a national level.

10                   Next, this little bit more information is  
11 basically a meter that's on a -- this is an NOAA  
12 citation aircraft but it's something that we can use to  
13 partner with other groups such as NGA, U.S. Geological  
14 Survey and some other groups like the Naval Research  
15 Lab providing our equipment, our personnel, their  
16 flight hours, however we can partner with them and be  
17 able to do this most efficiently. We have done some  
18 gravity collection last year, along the Gulf Coast,  
19 Puerto Rico and the Virgin Islands, this calendar year,  
20 and we're looking at finishing up in the Gulf Coast  
21 from the coastline of Alabama down south to the

1 southern port of Texas this year, as long as we can get  
2 our aircraft back up in the air and finish that up.

3           There's also plans to go and do some work  
4 up in Alaska, hopefully if all that works out with our  
5 logistics and partnering with NGA and the Naval  
6 Research Lab to get a portion of Alaska covered in the  
7 summer if everything works out.

8           Next, again just a demonstration of the  
9 different agencies that we're working with and trying  
10 to come up with ways that we can work smartly together,  
11 FAA, FEMA, Corps of Engineers. You see NASA. We  
12 really are trying to do the most that we can with our  
13 partnering agencies so that we can all benefit from  
14 this GRAV-D initiative.

15           Next, same, same picture, different subject  
16 matter but this is the Integrated Ocean and Coastal  
17 Mapping and again different sensors, same platform but  
18 being able to work with federal agencies at a different  
19 level to do the shoreline, to do other work from a  
20 remote sensing aspect that helps with the coastal  
21 mapping activities as well as all the integrated

1 products and services that not only NOS and NOAA  
2 utilize but our partners here today and the partners  
3 that we heard from this morning.

4           Next, so some of the applications that are  
5 driving the IOCM initiative, looking at ways to map and  
6 monitor things like erosion, the impacts of storms, the  
7 shoreline change analysis, which is critical. All the  
8 things that you see listed here, sea level rise, sea  
9 level change, whatever you want to call it, having a  
10 remote sense, remotely sensed information that we can  
11 tie together and being able to use that with control  
12 points on land so that we can make sure that what we're  
13 measuring is truly the changes in the land versus the  
14 changes in the water.

15           So doing the land-water interface is a  
16 critical part of what NGS does in partnering with our  
17 other Nav Services Office here to make sure that when  
18 we start looking at the numbers and the observations  
19 over the years that we are truly able to tease out  
20 whether or not the land is rising or the water is  
21 decreasing and determine what the truth is in those

1 different observations that we're collecting.

2           Next -- okay. So most recently these are  
3 some of the groups that we worked with in the  
4 collection of the ocean and coasting mapping. We'll  
5 see a few more examples of some of the projects that we  
6 accomplished this past year.

7           Next, so, in FY08 we did a major, four  
8 different projects here, California SeaFloor Mapping;  
9 North Carolina, there was a, as you can see in one of  
10 the pictures here, the Kurtabank (phonetic) site as  
11 well as Kachemak Bay, Alaska and New Hampshire. So  
12 we've got some different types of sites that we have  
13 been able to fly and work with our other partnering  
14 agencies. NGS was more involved in numbers two, three  
15 and four, not so much the seafloor mapping but a lot of  
16 the pilot areas have really shown that being able to  
17 use the different platforms, being able to use the  
18 different sensors and combine the data together is  
19 something that we're going to, that we've done some  
20 this past year; we're going to continue on in the next  
21 year. If you'd go to the next slide.

1                   Some of the planned project areas, again,  
2 additional work in Kachemak Bay, Mobile Bay and back  
3 into the Great Bay area in New Hampshire. And I don't  
4 have a lot of the details on those. I was thinking  
5 that the chief of our remote sensing division, Mike  
6 Aslaksen, who many of you may know, is more involved in  
7 details of those projects. So if you have questions on  
8 those, you can see me afterwards and I can try to get  
9 more information for you on these projects.

10                   Next, again, just, you don't need to worry  
11 about the small print here, just basically a collection  
12 of information about how many priority PORTS, the  
13 shoreline that we've accomplished in FY08, there's 33  
14 for that total, and analyze priority PORTS for change  
15 in 24 PORTS in '08 and our projected production for '09  
16 is, that's projected, that's maybe the current FY09  
17 production listed here. Basically, the bottom line  
18 here with the number of shoreline miles that are  
19 planned, about 5,000, a little over 5,000 statute miles  
20 per year. That's about 3 percent of what we can  
21 accomplish on a yearly basis.

1                   Next, many of you heard before our State  
2 Advisor Program. There's always some flux in the  
3 numbers of advisors that we have in the different  
4 states that are interested in partnering with us. It's  
5 a cost-sharing program but these are NGS employees that  
6 are in the states, and they basically act as our  
7 liaisons not only with our customers and stakeholders  
8 but also with other NOAA and federal and academic  
9 organizations in those states.

10                   There's been some change in personnel, kind  
11 of detailed here, but basically we are, our program has  
12 been growing. We would like to be able to continue to  
13 support this. There is a study underway to see how  
14 efficient, how most efficiently we can manage our State  
15 Advisor Program and that's something we are working on  
16 currently and we'll have more of an update on perhaps  
17 at the next HSRP meeting.

18                   Next, so, just a few pictures about some of  
19 the other accomplishments. A lot of the press that we  
20 get is related unfortunately to events such as the  
21 hurricanes that go through, and the fact that we have

1 pre-and-post imagery that we are able to share as soon  
2 as a hurricane has passed such as in with Gustav and  
3 Ike, able to go up and collect photographs of the areas  
4 and post those on our Website so that people can look  
5 at them shortly after the event and do some initial  
6 assessments of roads and houses and other issues. And  
7 as you can see, probably not too if you're in the back  
8 of the room but very striking pictures in the fact that  
9 we've had, you know, over 5,000 images that were  
10 collected last year in Texas and Louisiana after Ike,  
11 and the fact that there are over 32 million downloads  
12 or views of this imagery last year.

13           Next, one of the other items that we're  
14 looking forward to rolling out is our socioeconomic  
15 scoping study that we have completed this year on our  
16 CORS, our Continuously Operating Reference Station  
17 Network and our GRAV-D initiative. This is something  
18 that is, it's just a scoping study right now. We're  
19 looking to whether or not we're going to continue and  
20 do a more detailed study but basically the initial  
21 reports say the NSRS, and the fact with our CORS the

1 way it is, cost benefit of over \$750 million per year  
2 by having our CORS Network and the uses of that  
3 positioning service such as OPUS.

4           GRAV-D once it's completed is estimated to  
5 benefit at a magnitude of \$4.8 billion over the next,  
6 over fifteen years, and basically providing different,  
7 providing these products and services will enable  
8 anybody out there doing positioning information to be  
9 able to do them faster and better than ever before.  
10 This is available but it hasn't been publicly released  
11 yet. We're looking at a May or early June release date  
12 for this information but we could probably get that to  
13 you if you are looking for something before then.

14           Next, just some of the other highlights.  
15 We celebrated the 15th Anniversary of our CORS Program.  
16 It's hard to believe that 15 years ago, before that we  
17 did not have CORS. It's hard to imagine what life was  
18 like when we didn't have that opportunity to do our  
19 survey work. CORS program is growing. The data that  
20 we have in, that we collected, there's over 1400  
21 stations currently coming into NGS, that we collect the

1 data and provide free of charge back out to users to  
2 download. We also have our Online Positioning User  
3 Service that has been referenced before, where we can  
4 take your data, submit it and it will feed you back via  
5 e-mail a position and elevation information on your GPS  
6 data that you submit.

7           We're also expanding our real-time  
8 positioning role and you heard about that a little bit  
9 this morning as well. Everybody wants to do things  
10 faster and it's just going to continue. So the  
11 real-time networks that are being set up across the  
12 country are not necessarily what NGS's role is. Our  
13 role is to make sure that those are tied into the  
14 National Spatial Reference System and help with  
15 guidelines and specifications on ways to make sure that  
16 those independent networks, whether they're run by  
17 states or manufacturers or local communities basically  
18 are giving the right service to individuals by making  
19 sure that they are tied to the national reference  
20 frame.

21           We've participated in some real-time

1 network presentations, at things such as the American  
2 Congress on Surveying and Mapping Conference this past  
3 year and the Trimble Dimensions Conference, and draft  
4 guidelines for RTNs are going made available for others  
5 to review here shortly if they're not already posted on  
6 our Website.

7           Next, big highlight, we celebrated, we  
8 have, a hundred million digital products have been  
9 served. Somehow or another our IT folks have been able  
10 to collect all the information of what's been delivered  
11 and so a major milestone accomplished this past March  
12 is that since we've started taking these kinds of  
13 statistics since 2003, we've provided over a hundred  
14 million digital geospatial products, which I think is  
15 pretty amazing.

16           What does that mean? That means things  
17 like the CORS GPS datasheets, our data, our paper data  
18 sheet product which you can download electronically,  
19 GIS shape files, and a lot of our online positioning  
20 user service solutions, which have now numbered over a  
21 million serves, and also our shoreline data downloads,

1 in addition to that, the 32 million user downloads of  
2 the hurricane images, which are not included in this  
3 total.

4 But basically our Website is getting a lot  
5 of action. We are looking at hopefully in the near  
6 future being able to upgrade that to make it more user  
7 friendly. It's something that we need to move into the  
8 future with the way our Website is configured. And we  
9 know that that's an issue so we're working on that. I  
10 think that's it. Next? Yeah. So anyhow, that's all I  
11 have. If you have questions for me I'd be glad to take  
12 them. I don't know how we're doing specifically on  
13 time but --

14 MR. SKINNER: Great.

15 MS. BLACKWELL: Tom?

16 MR. SKINNER: We're fine. We're fine with  
17 time for right now. And, thanks very much for the  
18 overview. I think that we had an early version of the  
19 strategic plan that Gary, I think you had a work group  
20 or a subgroup that reviewed it.

21 DR. JEFFRESS: Right.

1                   MR. SKINNER: I'm not sure that there were  
2 enough -- should, you want us to take another look at  
3 it for more feedback or -- this is before, obviously  
4 before you were the Director.

5                   MS. BLACKWELL: Right. Right. We looked  
6 at it again recently and so it hasn't been updated on  
7 our Website yet but maybe what I will do is once we --  
8 there are just a few minor tweaks. Once that's done,  
9 maybe I'll just send it to you or Gary or the group and  
10 just say here's what we have and if you want a quick  
11 look, fine.

12                   MR. SKINNER: Okay.

13                   MS. BLACKWELL: But again this will be  
14 something that we'll be looking at on a yearly basis as  
15 well, so, and, I think we're okay for now but if you  
16 want to take another look at it, you're more than  
17 welcome to.

18                   MR. SKINNER: Great. I just wanted to make  
19 sure that you knew that if you didn't hear from us, it  
20 wasn't through lack of interest.

21                   MS. BLACKWELL: No.

1                   MR. SKINNER:   Okay.

2                   MS. BLACKWELL:   I know there's been one set  
3 of comments that have come from this group already.

4                   MR. SKINNER:   Okay.   Any questions,  
5 comments from the panel?   Jon?

6                   MR. DASSLER:   Yes.   Juliana, I just wanted  
7 to get clarification I guess on GRAV-D or just my  
8 characterization of that if that's correct.   But the  
9 way I understand it, GRAV-D now once you have that  
10 model, that basically the Geoid model be strictly a  
11 gravity-based model so there won't be warping to  
12 benchmarks and fitting benchmarks and ultimately what  
13 that would do is replace the use of benchmarks so  
14 basically CORS sites will be benchmarks that are  
15 continuously being monitored.

16                   MS. BLACKWELL:   It will shift more to a  
17 GPS-based elevation model -- I shouldn't say  
18 elevation -- GPS-based for monitoring but the actual  
19 vertical datum will be derived from the gravity.   So,  
20 like right now our Geoid model is based on a satellite  
21 like the Grace and -- the Grace Mission, et cetera, and

1 then we pin it down with our benchmark information,  
2 which we know in some cases is not as accurate as it  
3 could be. The GRAV-D will be ground-trooped by gravity  
4 but most of the data collection will be an airborne  
5 collect and that will be fitted into the other  
6 satellite-based gravity data that we currently use in  
7 our Geoid model.

8                   So there is a satellite component that's  
9 the foundational stuff but the low wavelength  
10 information will be based on the airborne gravity  
11 collection. And that, what we anticipate with that  
12 model, that will enable us to use that for our vertical  
13 datum of 2018; that's our target date, is being able to  
14 replace NAVD-88 with a gravity based vertical datum.  
15 So, does that answer your question?

16                   Benchmarks in the sense while there may be  
17 people who use them, they shouldn't rely on elevation  
18 information from the in NAVD-88 datum. That will not  
19 be supported after this new vertical datum is released.  
20 And again that's a ten-year timeframe for that. There  
21 always will probably be a need for people to have

1 benchmarks for certain, you know, reasons, certainly in  
2 areas that are changing, in order to get a true  
3 relative elevation comparison but we expect that it  
4 will be more of an airborne thing. But we will be able  
5 to monitor using GPS and we will be able to update  
6 especially in the areas that are showing change over a  
7 ten or twenty year time period, we'll be able to  
8 improve that Geoid model much easier with the GRAV-D  
9 version than by re-leveling, you know, thousands of  
10 kilometers of roads, et cetera.

11                   MR. DASSLER: Then another question is that  
12 I know there are a lot of regional networks that are  
13 popping up that aren't being run by NGS but they  
14 mentioned some of the private cooperatives and that  
15 kind of thing. And, is there any kind of plan on how  
16 to get those into the fold where it can be more of a  
17 nationally, national structure to those types?

18                   MS. BLACKWELL: The current plan is not  
19 necessarily to have them be part of the net -- well,  
20 not to be our responsibility to have them as part of  
21 our CORS necessarily but to ensure that they are tying

1 into the National Spatial Reference System, that there  
2 is a set of guidelines to show them how to check their  
3 positions and make sure that their infrastructure  
4 within those state or regional networks truly are  
5 accurate in reference to the National Spatial Reference  
6 System.

7                   And I know right now that, you know, there  
8 are a set of draft guidelines that are being worked on  
9 by NGS, and if you haven't seen those or heard about  
10 those I can put you in touch with Bill Henning, who is  
11 our real-time expert there in Silver Spring. And, he's  
12 going to be looking for people to review the  
13 documentation but basically being able to help people  
14 with making sure that the networks that they're setting  
15 up truly are linked back in to the NSRS but not  
16 necessarily -- in other words, if everybody goes and  
17 sets up 50 CORS sites in their state or their area, we  
18 don't necessarily, NGS doesn't necessarily need to have  
19 all those stations feeding into a national CORS  
20 program.

21                   We would recommend probably that they have

1 some way of linking to our CORS to make sure that they  
2 are truly fitting and can be monitored to make sure  
3 that they aren't changing so that their services in the  
4 real-time network are being done appropriately for  
5 their users.

6 MR. DASSLER: Right. Yeah, I think it  
7 seems like there's a lot of these being set up and  
8 there's no real guidelines or standards in it, kind of  
9 haphazard.

10 MS. BLACKWELL: We're working on those and,  
11 like I said, there is a draft and if it's not been made  
12 available to you yet we'll be able to provide that  
13 shortly. And we don't expect that Matt will have all  
14 of his 45 CORS stations in our National CORS Network.

15 DR. JEFFRESS: Julianna, I don't know if  
16 the guys on this panel realize it but the Europeans put  
17 up a gravity satellite most recently; GOCE, is that the  
18 name of it?

19 MS. BLACKWELL: GOCE, yeah.

20 DR. JEFFRESS: GOCE, GOCE. Have you seen  
21 any of that data yet? And I guess NGS is going to have

1 access to that data, correct?

2 MS. BLACKWELL: I know that our chief  
3 geodist was very excited about that when it was  
4 launched. And I would anticipate that one way or the  
5 other that we will have information from those, from  
6 that collection, yes. I don't know a whole lot of  
7 details about it but I know that it made a big  
8 difference to Drew and to the Geoid team. So, we're  
9 looking forward to that. Again that's not going to do  
10 away with the need for the GRAV-D because it's not  
11 going to be at the level of resolution that we need,  
12 but, to get the one to two centimeter accuracies but it  
13 certainly will be a much more accurate foundation to  
14 provide for our Geoid models with this new launch of  
15 GOCE. Is that right, GOCE, G-O-C-E?

16 DR. JEFFRESS: Yeah, but I think the  
17 Europeans pronounce it "go-SAY."

18 MS. BLACKWELL: Okay. Well, I'm an  
19 American. Any other questions? Thank you.

20 MR. SKINNER: Great. Thanks very much,  
21 Juliana.

1 (Applause)

2 MR. SKINNER: Once again I'll break from  
3 the agenda just a little bit to see if there is anyone  
4 from the public who would like to make a public  
5 comment, statement.

6 (No affirmative response)

7 MR. SKINNER: Okay. The last part is  
8 really to look at proposed recommendations from Day 1,  
9 meeting wrap up, next steps and expectations for DAY 2,  
10 which seems like a lot but probably should not take too  
11 long. I think for the framework for our  
12 recommendations this year I wanted to, or for this  
13 meeting, I wanted to focus on how the stakeholder  
14 panels consistently seemed to support and reflect the  
15 Most Wanted report. We get more information and more  
16 details, which I think are important and help improve  
17 the recommendations. But I'm sort of envisioning a  
18 letter that reflects that fact that really focuses on  
19 the importance of the stakeholder panels with the  
20 individual recommendations that we choose to make.

21 Ashley had to leave but before she left she

1 handed me these write-ups which are sort of notes from  
2 today's meeting, which I think will be very helpful in  
3 terms of thinking about what types of recommendations  
4 we would like to make in the letter. And I would also  
5 like to float the idea of going back to a process we  
6 used I think once, which was to develop the letter and  
7 then have a telephone, an advertised conference call  
8 meeting to approve the letter.

9                   It just seemed that we were much more  
10 reflective and had time to think about things more than  
11 trying to get an approval at this meeting without  
12 seeing the actual details. So I wanted to see if the  
13 panel had any thoughts on this and whether that  
14 provided -- I know we'd have to advertise in the  
15 Register -- or not advertise, we'd have to notice the  
16 meeting in the Federal Register if we get a conference  
17 call. Is that particularly onerous or is that a  
18 possibility to do that, if that's how we chose to go?  
19 Do people have strong views on that one way or the  
20 other? Can I get a candy bar for anyone? Ed.

21                   MR. WELCH: Tom, one thing, first a

1 conference call is fine with me but I think perhaps we  
2 ought to have an objective of getting the letter  
3 finalized and transmitted to whoever we're going to  
4 transmit it to more promptly than we have. You know,  
5 this last one, the advantage was it went to the new  
6 administrator. The disadvantage was it was basically  
7 four to five months after the fact. We could probably  
8 wrap it up quicker. I know the staff has to leave  
9 these meetings and go on to other things but it would  
10 be I think useful if the letter could be finalized and  
11 delivered in a more timely fashion.

12                   MR. SKINNER: I think part of that has  
13 been, I have been interested in waiting for the meeting  
14 minutes to come out to make sure that what we recommend  
15 is actually what we talked about. I think having notes  
16 like this is very useful and I'm more than willing to  
17 draft the first round to get it started because I know  
18 that everyone will be busy after this meeting and  
19 within about a week after we leave here planning for  
20 the next one. So, I'm happy to take on that task and  
21 circulate a draft earlier as we are waiting for the

1 meeting notice requirements, if that's acceptable to  
2 the panel. Andy?

3 MR. ARMSTRONG: I would like to make a sort  
4 of extraneous remark at this point. But, since we're  
5 talking about the letter that we send on, it occurs to  
6 me that, you know, one of our opportunities for  
7 providing input to the strategic planning exercise was  
8 a copy of this letter, I think we talked about. It  
9 seems to me that this strategic planning exercise has  
10 the potential to really drive the apportionment of  
11 NOAA's budget over the next four years or so in a way  
12 that we can't afford to let slip by.

13 So, my sense is that is that we should do  
14 more than send a copy of our letter to the strategic  
15 planning group as our input. I think we should sort of  
16 address those slides, those strategic planning input  
17 question slides directly. And like I said, it's kind  
18 of extraneous but I think we don't want to just go off  
19 and leave that at this point; otherwise, we'll be  
20 wondering why, you know, the Climate Service is getting  
21 all the funds and no one is paying attention to

1 Navigation Services.

2 MR. SKINNER: I think that's an excellent  
3 point. I hope that Paul's PowerPoint is, will be  
4 available to us, is that --

5 MS. DENTLER: Yes.

6 MR. SKINNER: Okay, because there was a lot  
7 of information there and being able to go back and look  
8 to see how we can plug in to that process I think will  
9 be important so I think that's a great, great point.  
10 Great. Thank you. Any other comments on the process  
11 of this? I think what I recommend is that if you --  
12 here, I'll pass these around, different directions --  
13 you can please feel free to make your own notes. There  
14 are some additional comments that were made about  
15 potential recommendations. I know Admiral West had one  
16 on funding for PORTS that might be a possibility. We  
17 talked a little bit about collecting data in the  
18 Arctic. There were some others. I don't have them  
19 right in front of me but feel free to jot those down.

20 We have some time tomorrow afternoon where  
21 we can talk about this further along with the strategic

1 plan that we worked on in Tampa. On the strategic  
2 plan, again, I'm not, I don't think we have to rush  
3 through this in terms of coming up with something  
4 definitive by the end of this meeting. I think for a  
5 lot of us this will be a reintroduction to what we all  
6 said and agreed to at Tampa by going through the  
7 strategic plan summary. That's also in the packet.  
8 It's sort of in small print.

9                   So, if you could take a look at that. I  
10 know we have some edits to that. Captain McGovern  
11 provided some. Some of you may have some others. So  
12 first of all I think we need to go through it and make  
13 sure that we're all in agreement with what's been  
14 written down. So if you have a chance sometime in your  
15 free time between now and tomorrow, take a look at  
16 that, that would be great. With that, any other  
17 general comments on how we put together recommendations  
18 and sort of make the views of the panel known to the  
19 powers at be?

20                   MR. WELCH: Tom?

21                   MR. SKINNER: Ed?

1                   MR. WELCH: These aren't necessarily  
2 recommendations for a specific action but I think we  
3 ought to highlight the fact that the Maryland Port  
4 Administration is highly dependent on the hydrographic  
5 charts in fulfilling their dredging mission, which is  
6 essential for their port operations. That seemed to be  
7 very much key to them and we ought to emphasize that to  
8 the Administrator.

9                   And secondly, to the extent that both the  
10 pilots and the Port Administration itself indicated how  
11 useful the port system was in the Chesapeake to making  
12 Baltimore a continual, continued viable port and in  
13 fact it provided them with a marketing tool, that they  
14 had that system in place.

15                   MR. SKINNER: I couldn't agree with you  
16 more. I think that we're sort of evolving in the  
17 letters representing what we've heard of the  
18 stakeholder panels and I think the more that we can  
19 speak with their voice as well as our own, the better  
20 off or the more effective our letters are.  
21 Particularly prior to the meeting Steve and I were

1 talking with Paul and he said how useful panels like  
2 this are to channel public opinion. I think that's  
3 essentially what he said. So I think that that's a  
4 great opportunity to do just that, and those are two  
5 great, two very good examples. Other comments? No  
6 one's mentioned it to me but I think we have forms that  
7 we're supposed to sign for --

8 MS. WATSON: T&A and travel.

9 MR. SKINNER: See how well-trained I've  
10 become?

11 MS. WATSON: Please.

12 MS. STUBY: Can I can request that everyone  
13 please get them in, try to send your receipts in five  
14 days? A month is not good.

15 MS. DENTLER: We get yelled at.

16 MR. SKINNER: Yeah, also on -- I passed  
17 around all of them so -- the notes that were prepared  
18 for, as a result of today's meeting at the top, there  
19 is a handout in your packet on the presentation that  
20 Jack's going to be giving tomorrow. If you could also  
21 look at that, that would be great. So, if there are no

1 additional comments, we will break -- I'm sorry? Oh,  
2 public comments. Any final public comments? Has  
3 anything I have said in the last ten minutes --

4 MS. WATSON: No.

5 MR. SKINNER: That's the briefing for Jack,  
6 right. Right?

7 MS. STUBY: Yes.

8 MR. SKINNER: Okay. And that's in the  
9 packet?

10 MS. DANIELLE: Yes.

11 MR. SKINNER: Great. Thank you. We'll see  
12 all of you down in the lobby. Okay. One more  
13 announcement. Steve?

14 CAPTAIN BARNUM: I just want to talk about  
15 tomorrow's scenario, certainly a significant portion.  
16 We're going to break for the dedication of the Bay  
17 Hydro 2 tomorrow and we will certainly have Mary  
18 Glackin here tomorrow morning to speak to us and then  
19 we will break, I believe, at 10:30 after public comment  
20 and then proceed across the street here to the Inner  
21 Harbor, but just to go over, it's going to be a

1 relatively simple ceremony. It's not a commissioning,  
2 but, so, keeping in scale with the size the vessel,  
3 it's not an aircraft carrier, 55 feet long.

4                   But we do have our honorary speakers. We  
5 have certainly Mary Glackin will be here to speak  
6 today. She's number two in the organization. She will  
7 also be our keynote speaker, honorary speaker. We also  
8 have Captain Mike Watson. He's president of the  
9 American Pilots Association, will be here tomorrow.  
10 Jeremy -- from the office of Senator Barbara Mikulski,  
11 who will read a statement from her office and we have a  
12 couple of still-to-be DVDs, but we'll see, from Senator  
13 Ben Cardin and Congressman Elijah Cumming's office.  
14 And then lastly Jack Dunnigan will say a few words and  
15 then present a plaque.

16                   And then followed by that will be the  
17 breaking of the bottle by Mary Glackin on the bow of  
18 the Bay Hydro. And then we will close and then have  
19 the compliments of the Maryland Pilots\providing  
20 refreshments, light refreshments for the events and  
21 opportunity to interact with our guests, to include

1 some of the congressional staff which plan to attend,  
2 so, and other port executives.

3 MR. WELCH: If I could, Mary Glackin, who  
4 will be speaking with us tomorrow, Tom and I met with  
5 about a year ago and she will be, at least since my  
6 tenure on the panel the most senior NOAA official that  
7 we have had. So this is a good opportunity for people  
8 to make comments. She's not going to know all of us  
9 either or what our affiliations are so we should tell  
10 her.

11 We should take, you know, we should take  
12 every second we have that's available to us to interact  
13 with her because she's pretty knowledgeable about some  
14 of our things. When Tom and I went in to see her last  
15 spring, either she knew quite a bit about our Most  
16 Wanted or somebody briefed her very well. She brought  
17 things up before we had a chance to do so but this, you  
18 don't get to see, you know, senior people at her level  
19 every day so we ought to take advantage of it.

20 MR. SKINNER: Yeah, I think I sent around  
21 an e-mail afterward. It was pretty impressive. She

1 was clearly well briefed but briefing a person is one  
2 thing; retaining the information and actually being  
3 able to ask you pretty high-level questions about it is  
4 another and we were pretty impressed with her. So, I  
5 second what Ed just said.

6 MS. WATSON: Tom, Steve, Helen Brohl with  
7 MTS will be at the ceremony tomorrow. She'll be  
8 sitting with the panel and then coming to the meeting  
9 afterwards, so, FYI.

10 MR. SKINNER: Okay. Anything else? Sorry.  
11 Bob, will we see you tomorrow?

12 STENOGRAPHER: Yes, I'll be here tomorrow.

13 MR. SKINNER: Excellent. Thank you. We'll  
14 adjourn until tomorrow morning at 8:30. We do have  
15 with the logistics of moving across the street and I  
16 think we'll probably start right at 8:30 if can.

17 (Meeting adjourned for the day at 4:31  
18 p.m.)

19

20

21

1 State of Maryland.

2 Baltimore County, to wit:

3 I, ROBERT A. SHOCKET, a Notary Public of  
4 the State of Maryland, County of Baltimore, do hereby  
5 certify that the within-named witness personally  
6 appeared before me at the time and place herein set  
7 out.

8 I further certify that the proceedings were  
9 recorded stenographically by me and this transcript is  
10 a true record of the proceedings.

11 I further certify that I am not of counsel  
12 to any of the parties, nor in any way interested in the  
13 outcome of this action.

14 As witness my hand and notarial seal this  
15 29th day of April, 2009.

16

17

---

Robert A. Shocket

18

Notary Public

19 My Commission Expires:

20 November 1, 2010  
21